

AMERICAN STATISTICAL ASSOCIATION
(ASA)

+ + + + +

COMMITTEE ON ENERGY STATISTICS

MEETING WITH THE
ENERGY INFORMATION ADMINISTRATION (EIA)

+ + + + +

FRIDAY
APRIL 3, 2009

The meeting convened at 9:00 a.m.
in Room 8E-089 of the James Forrestal
Building, 1000 Independence Avenue, S.W.,
Washington, D.C., Edward Blair, Chair,
presiding.

COMMITTEE MEMBERS PRESENT:

EDWARD BLAIR, Chair
STEVE BROWN
BARBARA FORSYTH
WALTER HILL

VINCENT IANNACCHIONE

NANCY KIRKENDALL

EDWARD KOKKELENBERG

ISRAEL MELENDEZ

MICHAEL TOMAN

JOHN WEYANT

EIA STAFF PRESENT:

STEPHANIE BROWN, Designated Federal Official,
Director, Statistics and Methods Group
(SMG)

JAMES BERRY

CAROL JOYCE BLUMBERG

TINA BOWERS

JAKE BOURNAZIAN, SMG

EUGENE BURNS

MICHAEL COLE, Office of Integrated Analysis
and Forecasting (OIAF)

JOHN CONTI

BRENDA COX, SRA

RAMESH DANDEKAR, SMG

JOHN PAUL DELEY, OIT

DEAN FENNELL

STAN FREEDMAN

CAROL FRENCH, OOG

ADRIAN GEAGLA, OIAF

LYNN GEISERT

MARK GIELECKI, Office of Coal, Nuclear,
Electricity, and Alternate Fuels (CNEAF)

HOWARD GRUENSPECHT, Deputy Administrator, EIA

LOUISE GUEY-LEE, CNEAF

STEVE HARVEY, Director, Office of Oil and Gas

TYLER HODGE, Office of Energy Markets and End

Use (EMEU)

PATRICIA HUTCHINS, CNEAF

ALETHEA JENNINGS

KATIE JOSEPH

FRED JOUTZ

MARY JOYCE, CNEAF

JAMES KENDELL

BOB KING

ANDY KYDES

TOM LECKEY

JANICE LENT, SMG

BARBARA MARINER-VOLPE

PAULA MASON, OOG

FRED MAYES

PRESTON McDOWNEY, SMG

RENEE MILLER

EIA STAFF PRESENT (CONTINUED):

EILEEN O'BRIEN, Consumption Data Management
Team, Office of Energy Markets and End
Use (EMEU)

KOBI PLATT

ANTHONY RADICH, CNEAF

MICHAEL SCHAAL, OIAF

ELIZABETH SENDICH, OIAF

SCOTT SITZER

HOWARD STONE, CNEAF

GRACE SUTHERLAND, SMG

EDDIE THOMAS

PHILLIP TSENG, SMG

SHAWNA WAUGH

ALEX WOOD

JASON WORRALL

BIN ZHANG, OOG

A-G-E-N-D-A

Open Meeting.5
Ed Blair, ASA Committee Chair	
STEO Oil and Gas Price Forecasts,6
Tyler Hodge, Office of Energy Markets and End Use (EMEU) EIA	
ASA Discussant: Vincent Iannacchione.	28
ASA Discussant: Ed Kokkelenberg	36
Additional Committee Discussion	41
Re-Labeling Price Data as Nominal,.	61
Jacob Bournazian, SMG, EIA	
ASA Discussant: Walter Hill	79
Committee Discussion.	81
Summary of Stakeholders' Issues and Questions: Andy Kydes, Office of Integrated Analysis and Forecasting, EIA.	95
Liquid Fuels Market Methodology:.119
ASA Review Coordinator: Michael Toman	
Additional Committee Discussion136
Committee Suggestions for Topics/Dates.190
for the Fall 2009 Meeting	
Invitation for Public Comments.	
Adjourn the ASA Spring 2009 Meeting with.	
EIA, Ed Blair, ASA Committee Chair	

1 P-R-O-C-E-E-D-I-N-G-S

2 9:04 a.m.

3 DR. BLAIR: Okay. We're going to
4 call the meeting to order.

5 To start, anybody in the audience
6 who did not identify themselves yesterday, if
7 you could please come to the microphone and
8 identify yourself? If you were not here
9 yesterday, if you did not already identify
10 yourself.

11 MS. BROWN: I hope the microphone
12 is connected today. Kobi, I think that's as
13 good as it gets.

14 MR. PLATT: I'm Kobi Platt. I
15 work in the Office of Energy Markets and End
16 Use and helped out actually this analysis here
17 with Tyler and Alex.

18 MS. GEISERT: I'm Lynn Geisert.
19 I'm a contractor.

20 MS. BLUMBERG: Carol Blumberg,
21 Office of Oil and Gas.

22 MR. KING: Alex King, EMEU.

1 DR. BLAIR: Any others who have
2 not signed in?

3 MS. BROWN: Jim.

4 MR. KENDELL: I'm Jim Kendell.

5 DR. BLAIR: Our first session this
6 morning is STEO, Oil and Gas Price Forecasts,
7 Tyler Hodge.

8 MR. HODGE: Okay. Well, thank
9 you. It's good to see everyone this morning.

10 The reason I'm here is to present
11 some of our research and findings on work
12 we've been doing regarding trying to model
13 uncertainty in our Short-Term Energy Outlook
14 or STEO. And I've been working on this
15 project with Kobi Platt and Alex King who are
16 there in the audience.

17 And the whole reason we've been
18 working on this project is because, as you are
19 all aware, the rapid rise in crude oil prices
20 since 2007 through the first half of last year
21 plus the even faster decline in prices up to
22 the present has really made it difficult for

1 us to kind of fix a good price path for our
2 short-term outlook.

3 And even within the last six
4 months, especially within the last six months,
5 it is not unusual to see a day-to-day
6 fluctuation in prices of like five or ten
7 percent. I think even yesterday I think the
8 crude oil price was up eight percent or so.

9 So, you know, based on this
10 heavily volatility in the prices, we've found
11 ourselves recently in our short-term energy
12 outlook discussing or actually highlighting
13 some of the uncertainty around our price
14 forecasts and we've also been trying to
15 address some of the economic and market issues
16 that impact that uncertainty.

17 But what we're hoping to do, what
18 our goal is is to actually find a way to
19 characterize or quantify that uncertainty so
20 we can better discuss or frame our discussion
21 of our price forecasts, and specifically the
22 uncertainty around our price forecasts.

1 And for this presentation, what
2 we're going to do is we're going to highlight
3 one widely used measure of uncertainty that's
4 frequently cited within other financial
5 analysis reports. And that's the implied
6 volatility of NYMEX options contracts.

7 And what we're hoping to do today
8 is to get some insight and input from the
9 Committee about the best way to apply this
10 volatility measure to our STEO forecasts.

11 So this will start off just sort
12 of discussing in a general way what implied
13 volatility is and also if you guys have any,
14 you know, simple questions or clarification
15 questions, feel free to bring that up. But if
16 you have any more substantial comments, maybe
17 we can just hold that until the end just to
18 make sure I get through the presentation.

19 But in terms of volatility, you
20 know, generally when people think of
21 volatility, they think of past changes -- or
22 changes in prices of a certain asset over

1 time. And it is easy to measure historical
2 volatility by just, you know, taking a day-to-
3 day percentage change in past prices.

4 But what we're trying to do is
5 actually use information from current market
6 activity to sort of gauge or measure the
7 expected uncertainty among market
8 participants. And one way to do that is using
9 the implied volatility measure.

10 And by definition, implied
11 volatility for an options contract is the
12 uncertainty or the risk that is implicit
13 within an options market premium. And, of
14 course, you have to have some sort of
15 assumption of an option pricing model.

16 And an important point about this
17 is that the implied volatility measure is a
18 forward-looking measure of markets uncertainty
19 as opposed to just measuring historical
20 volatility.

21 So before I get into more detail
22 about the mechanics of implied volatility,

1 I'll just illustrate some other ways that
2 other financial analysts use this measure to
3 represent or illustrate uncertainty. And
4 first we've got a couple of charts here from
5 the Federal Reserve. I'm not exactly sure
6 what official report this is from. I think it
7 is just for internal use.

8 But you can see two different ways
9 of using this implied volatility measure. On
10 the left, what they do is they just simply
11 track the implied volatility measure over
12 time. In this case for three different
13 futures contracts.

14 And it is interesting. You can
15 actually see how the volatility has increased
16 from 2007 through the latter part of 2008. So
17 that's one helpful way of actually
18 illustrating uncertainty.

19 A little bit more complex way of
20 illustrating uncertainty is to actually take
21 the options for a single fixed contract, in
22 this case for the December 2008 contract. And

1 what they do is they plot the futures price
2 over time. And then in addition to that, they
3 create a confidence interval around the
4 futures price that they construct using the
5 implied volatility within the options on those
6 futures contracts.

7 And you can see, obviously, that
8 as you get closer and closer to December 2008,
9 the confidence interval of the range of
10 expected prices is actually converging even
11 though over time the implied volatility has
12 gone up.

13 So there's two important factors
14 impacting the range of expected prices. There
15 is the expected uncertainty around the future
16 price fluctuations and then, of course, as you
17 get closer to the forecast, you usually have
18 a lower or a narrower range of expected
19 prices.

20 So another financial analysis
21 report from Deutsche Bank actually creates a
22 much more complex use of the implied

1 volatility measure. And with that, they
2 actually create a probability distribution
3 curve around what they expect the prices to
4 be.

5 And you can see here that they
6 actually used two different pricing models,
7 the Black-Scholes model in the red and a skew
8 surface model. They're pretty similar. But
9 what are the benefits of presenting implied
10 volatility this way? It gives you a sort of
11 a visual interpretation of different
12 probabilities, prices.

13 And you can see that based on the
14 area under the curve, they are pretty much 100
15 percent certain that the price will fall
16 between say 25 dollars and 100 dollars. Of
17 course, that's a pretty wide range, you know.
18 There's not very much information in that.

19 But from the probability
20 distribution curve, you can actually create
21 even narrower ranges or more customized ranges
22 of different prices. And this is a table that

1 Deutsche Bank presents along with their
2 probability distribution curve.

3 And it shows the probabilities of
4 the June 2009 crude oil contract, you know,
5 the prices in June falling below certain
6 levels for prices or falling above certain
7 levels of prices.

8 And based on this table, you could
9 actually create you own little confidence
10 interval. For example, let's see the
11 probability that prices will be below 80
12 dollars is 94 percent. If you combine that
13 with the probability that prices will be above
14 60 dollars, if you find the difference between
15 there, that translates to, you know, a
16 confidence interval of 63 percent probability
17 that that price will be between 60 and 80
18 dollars.

19 So that's a narrower range. But
20 we're still talking about a 67 percent level
21 of -- or 63 percent level of confidence. So,
22 you know, on a statistical basis, that

1 obviously is a pretty low level of confidence.
2 But at least it illustrates the uncertainty
3 around their price forecasts for the future
4 price levels here.

5 So I guess I'll go ahead and just
6 start talking about some of the fundamental
7 basics behind options and the implied
8 volatility level. And we'll start off just
9 introducing some basic options terms for those
10 who are unfamiliar with them.

11 There's two basic types of options
12 that can be traded in the market. A call
13 option gives the holder of the option the
14 right to buy an asset at some time in the
15 future but note, it's not an obligation to buy
16 in the future. And on the other hand, a put
17 option gives the holder the right to sell the
18 asset in the future.

19 And each specific options contract
20 has two important terms within the contract.
21 First there's the strike price, which is the
22 agreed-upon price that the parties agree

1 either to purchase, in the case of a call
2 option, or sell the asset in the future.

3 And then, of course, the other
4 important terms of the contract is the
5 expiration date. And that's the last date
6 that the option can be exercised by the holder
7 or the date that the settlement takes place if
8 they don't actually trade before the
9 expiration date.

10 And like any other type of
11 financial or physical asset, options are
12 traded in the market. And the market trading
13 determines a level of value for that specific
14 asset. And that's what the option premium
15 represents. That's the price of actually
16 purchasing the options contract itself.

17 So as you can imagine, there's a
18 variety of different variables or factors that
19 impact the option premium or the value that
20 the market places on any given option
21 contract. And, you know, accurately modeling
22 the market's behavior and how it values these

1 options has really kind of fascinated
2 financial economists over the last couple
3 generations.

4 And one of the most important or
5 well-known options models was formed by two
6 economists. One was Myron Scholes and Fischer
7 Black. This was back in the 1970s. And the
8 mathematics behind this is extremely
9 complicated and I won't pretend to understand
10 the derivation of this model.

11 In fact, I think it was -- yes,
12 Fischer Black and Robert Merton, they won the
13 Nobel Prize for developing this model back in
14 1997. But, you know, even given the basic
15 mathematics, you can see that there are a
16 couple of important structures behind this
17 model.

18 First, you can see that the model
19 is a random function of certain variables,
20 specifically, I guess, these two types of
21 variables here, the option premium, and the
22 current price of the actual underlying asset,

1 those variables you can actually directly
2 observe within the market.

3 And then the other two variables
4 here, the strike price of the option and the
5 time to expiration are defined within the
6 terms of the contract itself.

7 And then if you make an assumption
8 about what the risk-free interest rate is,
9 usually like a 30-day Treasury bill rate, the
10 only other parameter variable that you don't
11 know in this model is the sigma value. And
12 that's what we call the implied volatility of
13 the option. You can actually solve this model
14 for sigma to determine an implied volatility.

15 And one other thing I should note
16 about this is that you might be able to tell
17 from some of the functional form of the model
18 that what they assume is that price levels are
19 logged normally distributed or in other words,
20 the daily rate of return is normally
21 distributed. That's an important assumption
22 behind this model.

1 And also note that you can
2 actually calculate implied volatility measures
3 for any of the strike price levels for a given
4 option, like for a June contract, you know,
5 there's maybe 30 or 40 different possible
6 options contracts for each specific strike
7 price.

8 And for our purposes, what we're
9 going to do is we're going to just focus on
10 the implied volatility for the options
11 contract whose strike price is closest to the
12 futures price for that day. The volatilities,
13 you know, there can be different --
14 theoretically they should be the same for all
15 levels of strike prices but in practice, there
16 is some difference between the different
17 volatilities and different strike prices.

18 But we're just going to focus on
19 what is called the at-the-money option, which
20 is where the strike price is equal or closest
21 to the futures price.

22 So based on that Black-Scholes

1 model, there's a couple different possible
2 methods we could actually use the implied
3 volatility measure from that model to
4 illustrate uncertainty. We could either
5 create a confidence interval for the futures
6 prices in any given month. Or we could create
7 a probability distribution function like
8 Deutsche Bank does.

9 You know fortunately, you know, we
10 don't have to worry too much about the
11 mathematics behind implied volatility.

12 Fortunately there's a lot of organizations
13 that actually calculate those values for you.

14 We've collected a big database of
15 implied volatilities from the CME Group, which
16 is affiliated with NYMEX. And we've been able
17 to obtain some spreadsheets also from the
18 Federal Reserve and we were able to uncover
19 this function for calculating confidence
20 intervals around the expected price in any
21 given month.

22 Unfortunately, we don't totally

1 understand the mechanics behind that. Carol
2 Blumberg, she was nice enough to help us
3 deconstruct that a bit so we could see some of
4 the assumptions behind this confidence
5 interval.

6 But at least you can see that the
7 confidence interval is a function of these
8 four different variables. It's obviously a
9 function of the current price, the implied
10 uncertainty or volatility around those futures
11 prices.

12 It's a function of the time to
13 expiration. And, of course, you have to set
14 up an assumed level of confidence.

15 And similarly, we can use the
16 futures price and the implied volatility,
17 along with the assumption that the prices are
18 log normally distributed, to create an entire
19 futures price probability distribution curve.

20 And one thing to keep in mind for
21 either the confidence level or the probability
22 distribution function curve is that these are

1 all derived from NYMEX prices and NYMEX
2 trading.

3 They don't necessarily represent
4 the STEO uncertainty. But at least we can
5 show where the STEO forecast falls either
6 within the confidence interval or on the
7 probability distribution curve. And with the
8 probability distribution curve, we can also
9 possibly compare how the uncertainty has
10 changed from month to month.

11 First, I'll just show you an
12 illustration of an example of how we applied
13 the implied volatility measure for futures
14 prices on March 6th to the futures price curve
15 on that date. And March 6th was actually the
16 date that we last finalized our most recent
17 STEO.

18 But you can see here that even for
19 NYMEX futures prices, there is a wide range of
20 possible expectations for future price levels.
21 And you can see that the uncertainty actually
22 gets wider and wider the farther out you go

1 through the end of 2010.

2 And what we could do is we could
3 actually just put a log -- or insert our STEO
4 price forecast to show how our price forecast
5 compares to the NYMEX futures price curve.

6 And one thing I should note that
7 in the later months, it looks like our price
8 forecasts for March actually pretty much
9 coincided with what the NYMEX futures price
10 curve was. But I just want to warn you that
11 that is usually not the case because the
12 expectations that we have in deriving our STEO
13 price forecasts are almost always different
14 from what the NYMEX market is expecting.

15 For example, in these early
16 months, we're generally using -- or we are
17 using macroeconomic forecasts for our model
18 that are from Global Insight. And it is
19 generally accepted that as of right now,
20 Global Insight is considered one of the most
21 pessimistic macroeconomic forecasts.

22 But that's what we've

1 traditionally been using. So that's one
2 explanation why our current price forecast is
3 below the NYMEX market expectations. So one
4 benefit of this chart is that it allows the
5 STEO reader to sort of compare how our price
6 forecast compares to the NYMEX price
7 expectations. And it also shows some of the
8 uncertainty around those prices.

9 So in addition to just graphing
10 confidence intervals around the price curve,
11 we could actually present those intervals
12 numerically in a table. One benefit of this,
13 obviously, is that you can see, you know,
14 values behind the various ranges of possible
15 prices in the future.

16 And if we decide to go ahead and
17 decide to publish this information, we could
18 probably set up some sort of dynamic web page
19 similar to our STEO query system where the
20 user could actually customize the table to get
21 whatever information they are looking for in
22 a simple manner. That's a bit more difficult

1 to do graphically.

2 Let's see. Okay. Besides the
3 confidence interval, we could also just plot
4 a probability distribution curve for any given
5 month to show the full spread, sort of
6 illustrate the uncertainty around both the
7 NYMEX futures price and our STEO price
8 forecasts.

9 The 45.52 is the futures price
10 back on March 6th and the 40 dollars is the
11 June price that we were forecasting in our
12 latest STEO.

13 It's hard to see but you can see
14 the gray lines here illustrate a 67 percent
15 confidence interval, which is just a general
16 one standard deviation confidence interval.
17 And you can see that our STEO actually falls
18 pretty close to the lower bound on that
19 confidence interval around the NYMEX futures
20 price.

21 So I just want to show this graph
22 to show another way of possibly comparing the

1 uncertainty from month to month.

2 These two curves show a one month
3 ahead futures price probability distribution
4 curves. Specifically, in the red it shows the
5 probability distribution curve for the March
6 contract calculated back in early February.
7 And then the blue shows the probability
8 distribution curve for April prices based on
9 options contracts from March 6th.

10 And you can see that from the
11 shape of the curve that the implied volatility
12 of the April curve, the blue curve, is higher
13 than it is for the March contract. And the
14 shape is less peaked, I guess. It is more
15 spread out. I guess you could say in
16 statistical terms, it's more leptokurtic, I
17 think.

18 But you can see just based on how
19 spread out it is compared to the red curve,
20 that there is more uncertainty in April than
21 there was in March or in March compared to
22 February -- I'm sorry. So that's just one

1 possible way we could actually show the
2 comparison of uncertainty from month to month.

3 And let's see here, what we could
4 do is we could also just create a table from
5 those probability distribution curves to
6 illustrate numerically the different
7 probabilities of various ranges of prices.
8 One benefit of going with this approach is
9 that it allows the reader to create their own
10 levels of confidence.

11 For example, if, you know, they
12 wanted a 99 -- a 98 percent confidence
13 interval, they could say that prices are
14 likely to be between 30 and 70 dollars. But
15 personally, that doesn't offer much
16 information for me. But you can create more
17 narrow bands of ranges, if you want, using the
18 various probabilities.

19 And I show, of course, how the
20 futures price in our STEO forecasts fall
21 within that table. It is probably easier to
22 illustrate that graphically than in a table.

1 So I just want to wrap up here by
2 just asking the Committee about a few
3 questions regarding our approach to modeling
4 uncertainty here.

5 The first one, as I mentioned,
6 what we're doing is we're calculating the
7 confidence intervals and the probability
8 distribution curves based purely on NYMEX
9 data. And I guess we'd like to know whether
10 it's really appropriate to compare EIA STEO
11 forecasts with information about uncertainty
12 in the NYMEX future options market.

13 And if so, do confidence intervals
14 or the probability distribution charts, which
15 of those is probably the best way to actually
16 illustrate the uncertainty? And if, you know,
17 is it better to actually present the
18 uncertainty information graphically? Or in
19 tables? Or in some combination of the two?

20 So with that, I guess I'll turn it
21 over to questions and Committee discussion.

22 DR. BLAIR: Our first discussant

1 is Vince Iannacchione.

2 MR. IANNACCHIONE: Thank you, Ed.

3 First of all, this is a very
4 interesting topic and one that kind of hit me
5 in the face last night as I was reading the
6 paper where the Dow is back up around 8,000 or
7 so, which means I may be able to retire a
8 couple of months earlier.

9 (Laughter.)

10 MR. IANNACCHIONE: But apparently
11 gas prices are up too so I'm going to have to
12 pay more for gas. So anyway --

13 MR. KOKKELENBERG: Not all of your
14 income goes to gasoline, I hope.

15 MR. IANNACCHIONE: Anyway, I'm a
16 statistician and not an economist. And I'm
17 going to defer to our other discussant Ed for
18 some comments on the modeling schemes like the
19 Black-Scholes and that.

20 I see this, as a statistician,
21 volatility I equate with variance, of course,
22 and you have a sigma there in one of your

1 formulas. And to go right to your first
2 question there, STEO and the NYMEX, is it
3 appropriate? Well, I think it really --
4 certainly it is appropriate. And I know you
5 want to look into the future for the forecast
6 not in the past.

7 But I think at some point, you
8 have to be measuring how did it do in the past
9 because if you can't rely at all on the past,
10 then I don't see how you can predict in the
11 future.

12 Unfortunately, this is a very
13 volatile time. And I think -- I notice that
14 you have 67 percent confidence intervals,
15 which aren't very confident frankly.

16 MR. HODGE: Yes, exactly, it just
17 illustrated the uncertainty.

18 MR. IANNACCHIONE: It's one
19 standard error. And that means -- and even at
20 that, the confidence intervals were very wide.
21 One of your graphics had -- I just did a
22 little looking at one of them there, the

1 dollars per barrel sitting at 50 dollars a
2 barrel, plus or minus about 20.

3 MR. HODGE: Yes.

4 MR. IANNACCHIONE: How useful is
5 that? I mean at some point, you may -- the
6 inherent volatility may be such that you
7 really have to say we can't give you a very
8 accurate estimate.

9 MR. HODGE: Yes, that's true.
10 We're kind of hoping in addition to this, we
11 can kind of compare how the volatility has
12 changed over time. So even though we might
13 have wide bands, maybe you'll have less wide
14 bands next month or something.

15 MR. IANNACCHIONE: Well, I think
16 we're all hoping for less wide bands --

17 MR. HODGE: Exactly.

18 MR. IANNACCHIONE: -- in the
19 future. That's for sure.

20 One thing that occurred to me that
21 I think ideally you'd want the forecasts
22 internally based on here's what was going on

1 in the prior months on the STEO forecasts. So
2 we're going to kind of base it -- the forecast
3 just on that.

4 And I wonder if you could consider
5 some replication methods that statisticians
6 use to estimate variance. In particular,
7 there are jackknife variance estimation
8 methods where you could basically if you have
9 these for weeks or even daily, if you have
10 these measures, you could delete one and see
11 what the forecast is without that week. And
12 then delete another one. And just kind of
13 randomly bounce around and see how much that
14 deletion effects the volatility.

15 That's a --

16 MR. HODGE: Okay.

17 MR. IANNACCHIONE: -- pretty
18 effective technique that survey statisticians
19 use because there's complex sample design to
20 generate -- it makes the estimation of
21 variances kind of difficult. And I get the
22 feeling that you're kind of in the same boat

1 here.

2 MR. HODGE: Exactly.

3 MR. IANNACCHIONE: So that's one
4 suggestion.

5 On your second point, do
6 confidence intervals and/or PDF charts
7 adequately illustrate uncertainty, well the
8 short answer is yes. I think they do.

9 You may be saying well, which one
10 should we go with. And I think that depends
11 on the audience. Who you are trying to
12 communicate this information to.

13 At some level, confidence
14 intervals are more direct. The real value is
15 somewhere between that lower bound and the
16 upper bound. Or at least we're 95 confident
17 or we're 67 percent confident. Whatever it
18 is, the reader can tap right into that.

19 MR. HODGE: It's more intuitive, I
20 guess.

21 MR. IANNACCHIONE: It's very
22 intuitive, yes. And you're kind of setting

1 the confidence level.

2 MR. HODGE: Yes.

3 MR. IANNACCHIONE: I mean there's

4 -- with the PDFs, you had mentioned that they

5 enable custom confidence levels to be made.

6 And they do. And that one, PDFs might be more

7 difficult to understand because the reader can

8 go in and may be confused. Or they're not

9 really setting the confidence level.

10 I mean it is there. But they may

11 not fully appreciate it where with -- if you

12 set it, then that's what it is. Now obviously

13 you could have, just on this graphic here, you

14 could have different levels. That could be a

15 67 percent, a 95 percent would probably be

16 maybe --

17 MR. HODGE: Yes, off the scale.

18 MR. IANNACCHIONE: -- off the

19 scale there but still you could have different

20 gradations or shades --

21 MR. HODGE: Well, that's true.

22 MR. IANNACCHIONE: -- to

1 illustrate how the confidence interval expands
2 or contracts depending on what level of
3 confidence you have.

4 So as far as the third question,
5 should it be graphics or tables, I think in
6 general all of us would probably say give me
7 a graphic. I can deal with a picture a lot
8 easier.

9 With something like this,
10 especially with a confidence interval
11 approach, I think you could have tables for
12 someone who wants some more exact measures.
13 They could be in a supplement or something
14 like this. But that's where your main source
15 of communication would be, right with the
16 graphics.

17 Or if you're going with PDFs, and
18 there's no reason why, by the way, you can't
19 display both, I mean you could have,
20 especially on a website where for users who
21 want to look at PDFs, they could, it seemed
22 like in the curves, those bell-shaped curves,

1 I found myself looking at the labels.

2 I mean I know that if it is a
3 fatter curve that there's more variance there.
4 But I don't know how much more variance there
5 is. I mean I just know that it is kind of an
6 ordinal-type scale.

7 MR. HODGE: Okay.

8 MR. IANNACCHIONE: So maybe the
9 tables would be more appropriate there. Or
10 you could get creative and maybe a graphics
11 artist could help display that in a graphical
12 way as well. But it seemed to me that the
13 tables work better for the PDF.

14 MR. HODGE: You mean there's
15 probably more room for misinterpretation on a
16 graphical PDF like that?

17 MR. IANNACCHIONE: Well, I think
18 misinterpretation or just lack of
19 understanding.

20 MR. HODGE: Oh, okay.

21 MR. IANNACCHIONE: You know --
22 and, again, this all kind of gets back to who

1 is your audience here.

2 MR. HODGE: Yes, exactly.

3 MR. IANNACCHIONE: If the people
4 in this room are your audience, then yes, you
5 could go more upscale as far as the technical
6 level goes. But if you are putting it out on
7 a website for general consumption, you may
8 want to avoid that.

9 MR. HODGE: Yes, exactly. Okay,
10 well, thanks.

11 DR. BLAIR: Ed Kokkelenberg?

12 MR. KOKKELENBERG: I want to
13 compliment Tyler and company. They've done a
14 lot of work here. And they really poked
15 around in this issue of trying to forecast
16 volatility.

17 My comments probably raise more
18 questions than answers. I've already
19 communicated rough answers to Tyler by e-mail
20 and they were pretty consistent with what
21 Vince has just outlined.

22 But here's some comments for what

1 they're worth. First of all, the real issue
2 is can you get a precise forecast of the point
3 value. I mean if you could do that, you could
4 care less about the variance, right?

5 But the second moment becomes
6 valuable, the variance, when the time period
7 for which you are forecasting is rather wide.
8 For example, you're forecasting for 2010

9 MR. HODGE: Yes.

10 MR. KOKKELENBERG: -- and that
11 price may vary within that 2010. And that's
12 where the second moment becomes important. So
13 you want to know the limits of this price.

14 I teach -- when I teach
15 forecasting, I often use an example called Mr.
16 Tux. Mr. Tux has got a tuxedo rental place.
17 He's thinking of building a second operation
18 on the other side of town. And he has to sign
19 a five-year lease.

20 So he calculates the volatility of
21 his tux sales, which are highly seasonal -- or
22 tux rentals. And so I ask students well, why

1 do you care about the volatility. He's got a
2 point estimate for each year.

3 And they think about this for a
4 while. And the brighter ones say because he
5 has a monthly lease payment he has to make.
6 And he wants to be able to cover that in the
7 worst month of his sales, right? Right.

8 Okay. So it depends on your
9 audience. If somebody really is taking market
10 positions in this for contracts that are
11 futures contracts, they are going to want to
12 know fairly precisely but they want to know
13 what kind of volatility that they can expect
14 within that time period.

15 But if you're talking about long-
16 run forecasts for people who are considering
17 building power plants or refineries 20 years
18 from now or 10 years from now, that volatility
19 may not be quite as important.

20 Having said all of that, it really
21 depends on your audience. Now the estimates
22 of the volatility are best made if the time

1 series is stationary. And I don't think the
2 time series is stationary at all in terms of
3 co-variants or main. Yet the past is the only
4 thing you have got to work with as you've
5 said. And so you've got that. And if you
6 don't have -- if that isn't going to help you
7 forecast, then you're totally out at sea.

8 So I come to this jackknife
9 question. I like the idea. But I'm a little
10 concerned that what you are going to do is
11 identify a few time periods in which that
12 price really jumped around. And then you're
13 going to have to answer the question should I
14 eliminate that or leave it in?

15 And as somebody on this Committee
16 years ago said, you should cherish those
17 observations because they fall outside of your
18 model. That means your model isn't able to
19 handle that. And you should be at least aware
20 of that when you're using that model.

21 And so you're going to come to
22 that question if you use jackknife. But I

1 like the idea to help identify problems.

2 Now the futures contract
3 volatility represents only the market players'
4 uncertainty. And as you notice, that got
5 narrow when you got toward the date, the
6 expiration date on the contract because their
7 uncertainty collapses to a point estimate
8 ultimately.

9 MR. HODGE: Yes.

10 MR. KOKKELENBERG: But you're
11 standing there looking at the point and
12 looking into the future. So that's why you
13 get these expanding bands of confidence. And
14 eventually after you get a few periods out, a
15 time series thing becomes mechanical.

16 And so those bands don't bounce
17 around nor do your point estimates bounce
18 around. They're just kind of projections of
19 uncertainty that lies within the model itself
20 -- the statistics of the model. As you get
21 more observations, the variance grows.

22 MR. HODGE: I think, you know, the

1 confidence intervals are based both on the
2 volatility and the timed expiration. So --

3 MR. KOKKELENBERG: Right.

4 MR. HODGE: -- you know, one is
5 offsetting the other. So I think that's why
6 it just sort of can get constant after a
7 while.

8 MR. KOKKELENBERG: Yes, but when
9 you make the forecast, your comb expands as
10 does the Bank of England's or anybody who is
11 doing these forecasts because the volatility,
12 the second moment essentially goes up --

13 MR. HODGE: Yes.

14 MR. KOKKELENBERG: -- as you go
15 off into the future. And it makes intuitive
16 sense because you're extending yourself beyond
17 your experience.

18 MR. HODGE: Yes.

19 MR. KOKKELENBERG: Okay. The
20 question I have is would you propose that EIA
21 do something like your third chart, which was
22 that one -- I thought I drank all that coffee

1 -- your Figure One, the probability
2 distribution. Go back a few more -- keep
3 going -- keep going. No, you're going the
4 other way. Reverse yourself. Continue.

5 MR. HODGE: Is it a probability
6 distribution?

7 MR. IANNACCHIONE: Well, I was
8 thinking it was like this one -- the
9 probability density function that the Bank of
10 England had or whoever this was -- Deutsche
11 Bank. That, yes.

12 Now would you propose that the EIA
13 do that? And here's the problem I have with
14 that, I think that's great. The Deutsche Bank
15 and British Petroleum, and Enron, and formerly
16 Merrill Lynch -- I don't know who does this
17 now -- used to do this repetitively.

18 They may have done this, with the
19 computing capacity they have, ten times an
20 hour to help their market players understand
21 what the range of uncertainty is. And that
22 implies a fleetness of foot that is rather

1 daunting for an agency that takes two and a
2 half years to get a form change.

3 MR. HODGE: Yes, we're just
4 talking about monthly forecasts.

5 MR. IANNACCHIONE: I know, I know.

6 MR. HODGE: And that's a short
7 time period.

8 MR. KOKKELENBERG: Yes, for the
9 short-term energy outlook, this might not be
10 a bad thing to do though because you can do
11 this every month.

12 MR. HODGE: Yes.

13 MR. KOKKELENBERG: Now the other
14 thing is that using Black -- another point --
15 totally different point -- Black Scholes
16 implies that the market has got it right.

17 MR. HODGE: Yes, there's a lot of
18 assumptions there.

19 MR. KOKKELENBERG: And that is
20 questionable for 2008 but it may have been
21 good for almost every other time, right? And
22 perhaps Black-Scholes is more important over

1 the long run rather than a very short run
2 thing. Over a ten-year span or a 20-year
3 span, Black-Scholes works.

4 MR. HODGE: Yes.

5 MR. KOKKELENBERG: Over a one year
6 or one-month span, Black-Scholes depends on
7 things not changing. And basically things
8 changed in 2008 dramatically. And I'm not
9 sure the Agency could have picked those things
10 up even if it was doing monthly forecasting.

11 The market didn't pick up and
12 these guys have millions of billions of
13 dollars invested in it. So I wouldn't feel
14 bad if you don't outdistance the forecast that
15 they do. The problem is that you have
16 Congress asking you why can't you forecast
17 better.

18 So as I say, I have more questions
19 than answers. But I really appreciate what
20 you did here. And I thought it was a real
21 good crunch into the problem.

22 MR. HODGE: Okay.

1 DR. BLAIR: Steve, in that case,
2 we'll go to questions and comments.

3 MR. HODGE: Oh, sure.

4 MR. BROWN: I have a couple of
5 comments. First of all, for those of you who
6 are new to the Committee, I thought it would
7 be kind of useful to share but I think as the
8 genesis of this, which is that, you know, six
9 months ago, Congress was sort of demanding --
10 or a group of five Senators was kind of
11 demanding to know why could EIA get its short-
12 term energy outlooks and long-term energy
13 outlooks right.

14 So I think part of the response is
15 to really try to explain how much uncertainty
16 there is in any kind of outlook, even in a
17 market outlook.

18 MR. HODGE: Yes, I think they were
19 specifically pointing to, I think, a forecast
20 by Goldman Sachs. But the problem is Goldman
21 Sachs projects a range not an expected level.
22 So obviously with a range --

1 MR. BROWN: Well, and Goldman
2 Sachs also did a super-spiked outlook. And
3 what they do, they create these funny
4 scenarios like super-spike outlooks and stuff
5 like that. And they say well this only has a
6 one percent probability of happening. But if
7 it happens then they look really smart or
8 something.

9 Could you go forward a couple of
10 charts?

11 MR. HODGE: Sure.

12 MR. BROWN: It's the one that has
13 your forecast in with -- that one.

14 MR. HODGE: Okay.

15 MR. BROWN: I would have, you
16 know, let's say I was kind of running through
17 the STEO and I came to this chart online. And
18 I didn't have a big text to tell me what I'm
19 supposed to think here.

20 And I would really -- what I would
21 sort of look at in this chart is I would
22 really say well, how does the STEO compare

1 with the NYMEX is what I would get out of
2 this. I wouldn't get the sort of distribution
3 unless you really did something to emphasize
4 the distribution. And I would --

5 MR. HODGE: You could send a
6 background kind of the ranges.

7 MR. BROWN: Well, and maybe if you
8 did what Vincent suggested and kind of had
9 more shading to emphasize the confidence
10 bands. But I would recognize that the
11 confidence bands were really about the NYMEX
12 thing.

13 And I would then be sort of saying
14 oh, it's not statistically different than the
15 NYMEX forecast even though it's different,
16 that's kind of what I would -- my take-away
17 from it without a big text explaining it to
18 me, is well, it's not really statistically
19 significantly different than the NYMEX.

20 And I'm not sure that that's what
21 you want to accomplish.

22 MR. HODGE: Yes, I didn't think

1 about viewing it that way. But I can see what
2 you're saying.

3 MR. BROWN: But that's -- I mean
4 that's how I look at it as a sort of like --
5 just looking at the picture, I have no
6 context. That's the immediate thing that
7 jumps out to me is oh, it's not really
8 statistically significantly different than the
9 NYMEX.

10 And the other question that that
11 sort raised for me is particularly since you
12 explained why the STEO is a little bit lower
13 than NYMEX is are you really comfortable at
14 this point in time with the STEO forecasts?

15 You know you were sort of
16 explaining why you're low, you know, sort of
17 like well the macro thing that we're forced to
18 use is something that is lower than everybody
19 else's. And --

20 MR. HODGE: Well, I could explain
21 it just the opposite, that they're higher than
22 us, you know.

1 MR. BROWN: Well, but either way,
2 I mean it's sort of -- you know, it's sort of
3 you're going to be explaining why you are
4 different from the market if you have a chart
5 like this. And is that what you want to do?

6 I'm asking that as a question. I
7 don't have the answer to that.

8 MR. HODGE: Yes, we usually don't
9 highlight the differences between the NYMEX
10 and the STEO. I just thought that since we're
11 presenting this chart, there might be
12 questions.

13 MR. BROWN: No, but if you have
14 this chart on the STEO page --

15 MR. HODGE: Yes.

16 MR. BROWN: -- in the EIA website,
17 people are going to be asking this question.

18 MR. HODGE: Yes, we would
19 definitely need to have a lot of explanation
20 behind it.

21 MR. BROWN: And would you want to
22 answer that question? You may not want to

1 answer that question. In which case you may
2 not want this chart.

3 MR. IANNACCHIONE: Wouldn't it be
4 the next one that you would have on the
5 website? The one after?

6 MR. HODGE: The -- oh, wait -- the
7 one before?

8 MR. BROWN: The one before it.

9 MR. HODGE: Yes, that? Yes,
10 that's another possible way to go. We
11 actually had a workshop about a month ago
12 called Relationship Between Financial and
13 Physical Markets. And we kind of went over
14 this presentation. And it seemed like a lot
15 of the audience seemed to prefer, you know,
16 showing the two together.

17 So I don't know -- of course, like
18 you said, it depends on who your audience is.

19 MR. BROWN: Well, it depends on
20 who your audience is and what you're trying to
21 accomplish.

22 MR. HODGE: Yes.

1 MR. BROWN: I'm assuming your
2 audience, kind of from the point of view of
3 the questions I'm asking right now, are the
4 five Senators in some sense.

5 MR. HODGE: Yes, I mean obviously
6 there's --

7 MR. BROWN: Do you want to get
8 them off your back? And in which case I think
9 you'd want to have the 95 percent confidence
10 band up there.

11 MR. HODGE: Maybe just to be safe.

12 MR. BROWN: To be safe and well,
13 to have it shaded a different color something
14 like that.

15 But I do have one question. This
16 is really going far afield about the STEO now,
17 which is in general, it is very hard to
18 outperform auto-regressive models. And you're
19 STEO model is more complex than that.

20 And I'm wondering how long it's
21 actually been since the STEO itself was
22 examined to see how well it performs versus an

1 auto-regressive model.

2 And I'm also wondering if there
3 are confidence bands on the STEO forecast
4 itself, constructed from the statistics of the
5 STEO.

6 MR. HODGE: Well, that's an
7 important point I should mention is that we
8 don't -- the WTI crude oil prices, one of the
9 only variables that we don't explicitly model
10 in our STEO outlook -- our STEO we formally
11 model in our model, we developed that forecast
12 through, you know, a consensus of opinions in
13 our meetings while discussing, of course, all
14 the variables and stuff.

15 So -- but obviously if we had an
16 econometric equation for WTI that performed
17 reasonably well, you know, we could develop
18 forecast errors from that equation. I think
19 that that would probably be the ideal way to
20 go.

21 But using the NYMEX futures also
22 allows us to sort of look forward instead of

1 just sort of looking back at how well we've
2 performed. So but I mean they're both valid
3 ways to, you know, look at forecasts.

4 MR. BROWN: So the STEO is more of
5 a -- there's some judgment in there as well as
6 some kind of formal model.

7 MR. HODGE: Yes, yes, especially
8 with the WTI crude oil price, there's more
9 judgment involved. Of course, we look at all
10 the factors like, you know, the international
11 supply balance and macroeconomic factors and
12 stuff like that.

13 So -- but we don't formally model
14 that so that adds a whole other level of
15 difficulty in trying to, you know, gauge our
16 past efforts and how our forecast error is
17 derived.

18 DR. BLAIR: We're a couple of
19 minutes over time but we'll borrow a couple of
20 minutes from the next section to pick up John,
21 and Mike, and Barb, were you going to say
22 something?

1 MR. WEYANT: Okay. To catch up on
2 all these great comments, I do think that this
3 is a very important area to push further. And
4 you've made a lot of progress on it.

5 I used to teach Black-Scholes.
6 There's a lot of assumptions involved in it.
7 You should kind of -- even without going
8 through the derivation, which isn't actually
9 that hard, you should go through those just to
10 familiarize yourself with it because if you're
11 going to use that methodology, people will
12 start asking you about, you know, zero
13 transaction costs.

14 And the one I think is
15 particularly good and relates to something
16 Steve kind of got into is that has been a lot
17 of work on this stochastic properties that
18 best fit energy products, natural gas,
19 electricity, gasoline, crude oil. I think
20 Steve has actually done some work in that
21 regard. So there's just a little bit of
22 literature out there.

1 And, therefore you might want to
2 modify the basic set up a little bit in Black-
3 Scholes. And the people who do that, do that
4 second step as well.

5 Secondly on this, I think it is
6 important if you're going to practice -- to
7 get across that there is variance and it's
8 kind of in the real world -- it's not
9 stationary.

10 So every time I hear an industry
11 person say we need certainty in future carbon
12 prices, oil prices, I just go oh, my God, if
13 I was in the IT industry and I tried to do
14 that 20 years ago, people would have put me in
15 the loony bin.

16 So my interpretation of this,
17 which may be just totally idiosyncratic is, I
18 say well, your mean projection is kind of like
19 NYMEX. You didn't give me any other way to
20 think about uncertainty. I'm trying to
21 actually, you know, manage stockholder funds.
22 I'm going to actually graft on that as the

1 uncertainty band around the mean forecast.

2 So this gives me at least a rough
3 idea how likely it is that it is off and how
4 far that being off might be.

5 MR. WEYANT: By the way, do you
6 know what the current futures price is?

7 MR. HODGE: I think it was like 52
8 dollars.

9 MR. WEYANT: So it's definitely
10 over 50 now. So that comes to the last thing.
11 I think Ed clicked this in my head. I think
12 it would be useful because you have this short
13 time horizon, kind of monthly things, if you
14 buy my argument or have some way of doing
15 uncertainty to kind of collect that data so
16 that the decision theory guys have this really
17 neat concept called calibrated experts.

18 So if I was saying okay, EIA,
19 you're not responsible for all the uncertainty
20 in the world. But if you're going to show me
21 these, you know, two-thirds of the time they
22 should be in there, I'm going to collect these

1 for two or three years and say two-thirds of
2 the time, were you within that one standard
3 deviation or whatever the number is?

4 I think that -- to me, that would
5 build some credibility as you go to have you
6 kind of be --

7 MR. HODGE: That's true.

8 MR. WEYANT: -- so you're not
9 responsible for solving the problem of massive
10 uncertainty in the world like who is going to
11 be the next President or who is going to be in
12 the next Congress, et cetera.

13 MR. HODGE: Yes, we have the past
14 data to reconstruct, you know, these bands
15 historically and see how well we did. So
16 that's definitely a good idea.

17 MR. WEYANT: Yes, that on this
18 kind of big number crunching computer thing is
19 something, you know, you're kind of already
20 doing that. This is just not just doing the
21 means but these ranges. And that, if you
22 don't want to buy into this being a measure of

1 the uncertainty in your conception of this,
2 you could at least critique the use of this
3 methodology which other people have tried to
4 use. But kind of using the NYMEX kind of
5 standard Black-Scholes options, could spread
6 future price, just as you've done it. And say
7 this is the methodology we're putting forward
8 here and it is based on somebody else's model
9 and somebody else's thinking. But we either
10 have more or less confidence over time based
11 on how the numbers turn out over time.

12 DR. BLAIR: Mike, are you
13 withdrawing your comment?

14 MR. WEYANT: I'm just going to
15 make a quick footnote because it is about what
16 John said but it was something very specific.
17 I would assume there's a -- I don't know if
18 this is transactions cost or something -- that
19 when the folks that purportedly regulate
20 futures transactions raise margin
21 requirements, that would be an example of
22 something that, you know, may have changed

1 over the last few years.

2 And I would assume that before and
3 after things like that, there could be
4 differences in price behavior. So it would be
5 one more thing to think about. The
6 institutional backdrop is not always being
7 held constant.

8 MR. HODGE: That's true.

9 DR. BLAIR: And Barb?

10 MS. FORSYTH: The point that I
11 would make is only that you can also encode
12 expert judgments. So you don't have to rely
13 just on historical data.

14 But you can formally encode expert
15 judgments to measure their uncertainty values
16 and explicitly reflect them so that you could
17 get it not just from the historical data but,
18 in fact, you could assess the uncertainty
19 about the historical data from experts and map
20 those probabilities --

21 MR. HODGE: Okay.

22 MS. FORSYTH: -- as well. So --

1 MR. WEYANT: So this is almost
2 moving towards a full update where you start
3 with priors and --

4 MS. FORSYTH: I didn't want to say
5 that but yes.

6 DR. BLAIR: And Ed, if you don't
7 mind, I'm going to ask that we go offline with
8 your comments so we can finish the session and
9 move on to the next one because we're over
10 time.

11 MR. KOKKELENBERG: No, I only have
12 about a two sentence comment. So I would
13 prefer to offer that.

14 DR. BLAIR: Okay, go ahead.

15 MR. KOKKELENBERG: And be online.
16 And the online comment is that somewhat
17 similar to what they're saying but for future
18 forecasting you really should employ a suite
19 of models, not just one model. That's it.

20 DR. BLAIR: Okay. Thank you.

21 MR. HODGE: Okay, I appreciate all
22 the comments. Thanks again.

1 MS. BROWN: We're not done.

2 DR. BLAIR: Oh, I'm sorry. Was
3 there a comment from the audience? I'm sorry.

4 MR. HODGE: Okay. Well, thanks
5 again.

6 DR. BLAIR: Our next session, Re-
7 Labeling Price Data as Nominal, Jake
8 Bournazian.

9 MR. BOURNAZIAN: Thank you, Ed.
10 Good morning, Committee members
11 and EIA staff and the audience. Today's
12 presentation is about how our agency delivers
13 price data to our customers.

14 Now we release a great deal of
15 price information. In fact, in just the area
16 of petroleum and natural gas alone, we release
17 approximately 16,000 different price data
18 series from our website.

19 When I add in electric power and
20 coal and the other fuel groups, we're
21 releasing approximately 20,000 different price
22 data series from that website. So there's a

1 lot of quantity behind this information.

2 But there's something else besides
3 quantity and that's popularity because price
4 statistics are always unique more than any
5 other because it is that unique moment when
6 the supply and demand curve intersect and we
7 have a point of measurement where the market
8 is cleared -- for a day, a week, a month, a
9 year, they cleared on that measurement.

10 And that's why price statistics
11 are so popular. It's the best way to measure
12 market conditions.

13 And it shows back on our price
14 data because two surveys, retail motor
15 gasoline, and retail diesel fuel price survey
16 soak up about ten percent of the traffic from
17 our website. We have two-and-a-half million
18 visits per month on our website and these two
19 surveys take up about ten percent of that.

20 So it is something to keep in mind
21 that this is always going to be with us,
22 right? Price statistics will always be very

1 popular -- tomorrow when you wake up, ten
2 years from now -- and we have a great deal of
3 information.

4 And so that means managing traffic
5 is going to be a consideration that kind of
6 overarches this entire presentation and how we
7 do that. Now you see the word nominal and
8 let's get on the same page of what that means
9 because the word nominal means different
10 things depending on your educational
11 background.

12 If you have a scientific
13 engineering background, I'd like you to leave
14 it at the door because nominal for those
15 technical people means a value that
16 approximates the actual. So if I say I have
17 a truckload of dimensional lumber out back
18 versus I have a truckload of two by fours.
19 One is real, the other is nominal.

20 Now we're all going to be
21 economists today. And so nominal and real, in
22 the context that I'm speaking, refers to

1 purchasing power.

2 And I'm going to keep it really
3 simple just for discussion purposes. I'm sure
4 you could have a more sophisticated definition
5 but when I'm talking about real and nominal
6 distinction, what I'm referring to is if the
7 rate of change in the money supply does not
8 equal the rate of change of goods and services
9 in the economy, then the purchasing power in
10 the future time period may not be the same as
11 the purchasing power in the current. And the
12 same thing applies to the past.

13 Now let's take a look at what we
14 do here at the agency. And what I want you to
15 pay attention to is the bread crumbs in the
16 upper left-hand corner.

17 We release real price information
18 and we do have a pretty clear navigational
19 path -- home page, forecast and analysis,
20 short-term energy outlook, real petroleum
21 prices. So a user will find it -- and, again,
22 we're managing traffic when we're designing

1 and releasing this price information.

2 And when you're at this page,
3 you'll see graphs on diesel fuel, heating oil,
4 crude oil, one of my favorite graphs on this
5 page is gasoline. A couple reasons I like
6 this graph because it does show that your
7 grandparents 90 years ago paid through the
8 nose for gasoline, just like you and I are
9 doing today. So not a lot has changed in 90
10 years.

11 Second usefulness for this graph
12 is it does show what the current practices are
13 here at the agency. A nominal referencing of
14 real price series graph.

15 Let me describe that. What our
16 current business practice is is that if you
17 show real price data reference the reported
18 values as nominal. And if you're just showing
19 your actual reported prices, you don't use the
20 word nominal. Pretty much a general practice
21 across the agency.

22 But no story would be interesting

1 this morning if we didn't have any exceptions.
2 And we have some exceptions. I'm not just
3 singling out this one publication. Last
4 summer you may remember that crude oil went up
5 to about 140 dollars a barrel.

6 And whenever prices spike, you're
7 going to see media interest on measuring that
8 price spike. Is that a record in real dollar
9 terms? They want to look at purchasing power.
10 It happens in other fuel groups, too.

11 Well, the manager of this
12 publication changed all the price tables and
13 labeled them as nominal retail prices. And
14 very knowledgeable manager, very experienced -
15 - in fact they won the EIA Administrators
16 Award for Employee of the Year just a couple
17 of days ago.

18 So what were they thinking?
19 Because they didn't get the award for doing
20 this re-labeling. Now they're just doing
21 their job as a manager, right? Because
22 customers call in and they're asking. Is that

1 nominal prices that I see up there on your
2 website?

3 Now if you're a manager and you
4 hear that same question four or five times, do
5 you need to hear it six, seven, eight, nine?

6 No, you're going to solve the problem. And
7 this manager did. He solved the problem and
8 changed the titles on that section of the pub.

9 Now I told you, I have plenty of
10 other examples. About five years ago,
11 electric prices spiked. The Midwest and
12 northeast lost power.

13 Well, the manager of the Electric
14 Power Monthly was getting questions, once
15 again, from customers. Is that nominal? Now
16 they took a different approach. They changed
17 the text in the footnote to read that monetary
18 values shown are nominal.

19 So we live in an economy that
20 basically is balancing by bringing in imports.
21 And so any time you see a supply disruption,
22 if we have a hurricane four or five months

1 from now, any kind of supply disruption most
2 likely will yield price spikes.

3 And we can rely on that or plan
4 for that in the future regardless of what fuel
5 group, except for maybe liquid petroleum
6 fuels, which we'll hear about shortly, they
7 don't need imports.

8 Now whenever you see an
9 inconsistency in an agency, it is always nice
10 to go look at our cousins and say what's going
11 on with the other federal statistical
12 agencies? How are they handling the issue?

13 Now I picked these agencies
14 because they are the only ones that release
15 business information just like we do. And so
16 at the Bureau of Economic Analysis, they don't
17 use the word nominal. They use the word
18 current.

19 And so when they release
20 information on disposable income, you get to
21 see the flavors as current disposable income
22 and changed. Now because they're not using

1 nominal, I think BEA believes that engineers
2 outnumber economists in our society. And they
3 may be right.

4 But they come back when they're
5 releasing real personal -- personal disposable
6 income, they'll call it current and real. So
7 real does come back when we're talking about
8 personal disposable income. Now we're on the
9 same page. We're talking about purchasing
10 power because that's what we're trying to
11 measure.

12 Bureau of Labor Statistics
13 releases a lot of price data, price series.
14 They only use the word nominal when releasing
15 real price data. And they don't use it -- if
16 you download any data from BLS, you won't see
17 the word nominal.

18 And same with National
19 Agricultural Statistics Service. It follows
20 the same general pattern. Only use the word
21 nominal when you are releasing real price
22 data.

1 Same with the Census Bureau. They
2 release more sales and revenue data though
3 rather than prices.

4 Now has everyone here heard of
5 this website fedstats.gov? Okay. I think I
6 see some heads nodding. But what I want to
7 see a show of hands on is who has actually
8 downloaded any energy data from fedstats.gov?
9 Raise your hand. Okay. I stumped everybody
10 on that question. It's like nobody raised
11 their hand there.

12 Well, let's go to fedstats.gov. I
13 just want to show you something real quick.
14 This is their homepage. And I'm going to pick
15 off some energy data. And so at this website,
16 you just click on your subject matter and hit
17 submit.

18 And when you do that, you get this
19 list of categories. It's a pretty
20 comprehensive type of categories -- a little
21 blurry -- but what I'm going to point out is
22 that when you click on gasoline prices or

1 diesel prices, you go right to the gasoline
2 and diesel level two pages on our website.
3 And that's where you will find the retail
4 price data.

5 If a user clicks on prices
6 monthly, all sources, direct link to the
7 Monthly Energy Review. Wait a second. Wasn't
8 that one of the anomalies I was talking about
9 on our current business practice? So
10 depending on where the user has been or is
11 going, they're going to get the same product
12 but labeled differently.

13 So what we have here is within our
14 agency and also vis-à-vis other federal
15 agencies. Because I told you, the Bureau of
16 Labor Statistics releases price information.
17 They release retail motor gasoline prices on
18 20 major cities.

19 We only release it for ten. But
20 within our website, we now are showing price
21 data as nominal retail prices without any real
22 data going along with that.

1 Now another huge concept
2 underlying the information we release is data
3 integration. And we have more and more coming
4 out is information products that draw across
5 fuel groups. Okay. So I'll have state energy
6 profiles, state energy database.

7 I think Howard Gruenspecht
8 mentioned the state data initiatives. So now
9 I'm grabbing coal, petroleum, natural gas data
10 and I want it all together. Well that --
11 fundamentally in your file specification, you
12 need standardization if you're pulling in data
13 from different fuel groups because what
14 they're doing now is you're taking data from
15 production environments that is being released
16 on the web and you're repackaging it.

17 And when you repackage it, it is
18 important to pay attention to what label
19 you're using. Once again, once the whack a
20 mole game is getting to be played and the
21 bricks loosen in the wall, we're going to see
22 some charts and tables popping up once in a

1 while in info products that say hey, I have
2 nominal prices here on this graph.

3 Also, it goes off because
4 sometimes our file formatting can make a
5 difference. I'll refer to that later.

6 Well, when you get into this area,
7 you have a lot of related issues. These are
8 not all the related issues. I just picked off
9 a few, some of the more interesting ones.

10 Has anyone ever used the term
11 nominal spot price? Once again, no hands out
12 there. Same here. I've never used that
13 either because no one speaks that way. But
14 we're going to have to take a look at that in
15 talking about certain types of wholesale
16 markets.

17 File format matter, well in the
18 Natural Gas Monthly, if you click on a table
19 and you click on a PDF file, the label in the
20 PDF file says Nominal Retail Prices.

21 But if I click on an html file, or
22 an xls file for this same exact table, it

1 doesn't say nominal. Hmm, easy fix. Just
2 change all the other file formats to show
3 nominal, right? We want to be consistent one
4 way or the other.

5 And, of course, I gave you a
6 couple of anecdotes where one project manager
7 re-labeled the titles. And no customers
8 called back with any questions. Another
9 project manager changed a footnote and, once
10 again, no users called with any questions. A
11 couple of ways to do that.

12 Now you don't have to worry,
13 Committee members, about any of these related
14 issues because fortunately the Statistics and
15 Methods Group climbed up on their white horse,
16 rode through the hallways, and decided to fix
17 this problem. And they did that by using a
18 very special tool, one of the statistical
19 standards.

20 Now I have a copy of that
21 statistical standard in your -- in the paper
22 as an exhibit. Also the proposed revised

1 standard is in there as an exhibit.

2 Now you know you're working with
3 the right tool if it yields the right
4 benefits. And let me just confirm with you,
5 we are using the right tool to fix this
6 problem. Because one, when you apply required
7 actions to a statistical standard, you are
8 going to get standardization of common
9 business practice. Same data now will look
10 and appear the same way, regardless of where
11 you find it on the website.

12 Now I mentioned earlier about
13 fedstats and how fedstats has these cross-
14 links and one is going to go to the Monthly
15 Energy Review and somewhere else goes to a low
16 gas page and we have different labels.

17 Now let me ask you -- if I asked
18 any one of the Committee members if you would
19 like some Coke and you aren't thirsty, you are
20 going to ignore me because you're not thirsty.
21 But if you are thirsty and I say, "Would you
22 like some Coke," you're still not confused

1 because you're going to answer me yes or no.

2 You may look at this bottle and
3 say, "That's exactly what I was looking for,"
4 or "That really wasn't what I'm looking for
5 but it will do for me."

6 But if I ask you if you're
7 thirsty, would you like to access some Coke
8 and you say, "Yes," and then I say, "Well then
9 I have some Coke for you," now I've confused
10 you because now you are wondering is the Coke
11 in this bottle the same as the Coke in this
12 bottle.

13 And yes, it is. But that's still
14 not good enough for you because you have past
15 experiences. You have a preconceived image in
16 your head. When I said, "Would you like some
17 Coke to drink," you already had an image. And
18 so you're going to choose one of these that
19 more resembles your image in your head.
20 Something that you were used to looking at.

21 That's the confusion I'm talking
22 about here because it's not that people aren't

1 using fedstats. There is traffic going
2 through fedstats. And if you're looking for
3 something and you find it, there's no
4 confusion. All right?

5 You only get confused if you find
6 the same data across different web pages on
7 our website and it looks differently each time
8 you're accessing it.

9 So back to data integration being
10 a huge problem here -- or not a problem, it's
11 just an underlying principle we have to plan
12 for. In the last two years, we've come up
13 with five info products that have built across
14 fuel groups.

15 And, of course, all statistical
16 standards arose out of OMB's statistical
17 standards in 2002 which, again, it's always
18 interesting. When Statistics Netherlands
19 speaks, they speak with one voice. Statistics
20 Canada, Statistics New Zealand -- but when the
21 federal government speaks, we have many
22 voices.

1 And so one overarching objective
2 with OMB is trying to get the federal agencies
3 to speak with one voice.

4 I have some questions and get some
5 feedback but I want to tell you a little
6 something about these questions. First, first
7 question here, keep in mind that when you
8 respond to this question, it is subject matter
9 dependent and I need you to be wearing your
10 data user hat. Okay?

11 That's different than the second
12 question which is subject matter independent.
13 And you can choose when responding -- keep
14 that data user hat on or wear the data
15 producer hat.

16 Because I'm sure as economists, at
17 some point in your career -- many times you've
18 worked with price data. And you either had to
19 evaluate do I need to make an adjustment for
20 inflation?

21 And then whatever you did, you
22 presented your results. So you were a

1 producer at that point. And you chose an
2 appropriate label.

3 So we have these two questions and
4 then feel free to borrow from my analogy
5 because, of course, everything goes better
6 with Coke.

7 (Laughter.)

8 MR. BOURNAZIAN: Mr. Chair, let's
9 turn it back over to you.

10 DR. BLAIR: Walter?

11 MR. HILL: I guess I don't have
12 many comments. You are quite right. It is
13 confusing to work with price data. Sometimes,
14 of course, there are other data out there like
15 kilowatt hours that are pretty consistent if
16 you're looking at 1990 data or 2009 data.

17 Typically, you can tell whether or
18 not the data are adjusted or not adjusted
19 although you can't always. The term that I've
20 used in class all the time, I tend to use
21 current and constant dollars rather than
22 nominal.

1 And it turns out I use the word
2 nominal in a different sense -- nominal,
3 ordinal, interval ratio, which maybe is also
4 confusing when I look at the title though from
5 the context, again, it is clear what you mean
6 by that.

7 My first question, I'll preface
8 it, it would be good for the data to be
9 labeled one way or the other -- good to have
10 a consistent label. And often you can
11 possibly tell.

12 I even use things like data from -
13 - pre-World War I data. So clearly you're
14 looking at military spending that are in the
15 hundreds of millions of dollars it turns out.
16 So you know that it's a different --
17 completely different frame of reference than
18 the hundreds of billions of dollars that we
19 are using now.

20 In your segment on the label, it
21 will save a few minutes here and there
22 typically if you're going back to look at the

1 data. Typically you can tell, I think. In
2 fact when I've used the data, you can
3 typically go back and tell.

4 But it will save like five minutes
5 or so trying to figure out which one -- if
6 you're actually using nominal or real data.

7 MR. BOURNAZIAN: Maybe at the end
8 of this discussion, I'd like to poll the
9 Committee because we're thinking about what
10 this is looking like. But let's first get the
11 comments.

12 DR. BLAIR: I'd like to ask a
13 clarifying question. Included in the text
14 material was a current standard 202.14 and a
15 revised standard and the revised standard
16 speaks to when you would say real and when you
17 would say nominal.

18 So this would seem to resolve the
19 matter in a sense. Is the question whether we
20 agree with this?

21 MR. BOURNAZIAN: No, that's not
22 the question. You're correct. The revision

1 to the statistical standard intends to resolve
2 these issues. And the agency in the last
3 month is going through internal deliberations.
4 They are certainly being commented on right
5 now.

6 What we're interested in, though,
7 from the Committee, because it's unique, I
8 have a specialized, sophisticated group here
9 in this room. And so just like I asked, you
10 don't have a preconceived image. When you're
11 accessing price data, how do you like to view
12 it?

13 Just like you have a label in your
14 mind when you think about Coca-Cola, if you
15 don't see the label you're expecting,
16 something is awry. You've got to realign your
17 expectations.

18 And so when you're accessing price
19 data as users, does the word nominal help you
20 out? Or does it get in the way? And also
21 releases. Okay, it looks like the Chairman
22 has a comment.

1 DR. BLAIR: Well, just as a
2 follow-up -- again, a clarifying question --
3 if I read the proposed standard correctly, any
4 time dollar figures were real have been
5 adjusted, they would be labeled as real.

6 MR. BOURNAZIAN: Correct.

7 DR. BLAIR: If in the same table
8 there are dollar figures that are nominal,
9 they would be labeled as nominal.

10 MR. BOURNAZIAN: Right.

11 DR. BLAIR: But if a table was
12 purely nominal data, they would not be labeled
13 as nominal.

14 MR. BOURNAZIAN: Correct.

15 DR. BLAIR: The nominal label
16 would only be used to distinguish those
17 numbers from real numbers when real numbers
18 were used.

19 MR. BOURNAZIAN: That's correct.

20 DR. BLAIR: So that the default,
21 if you didn't know anything else, the default
22 would be that the data were nominal.

1 MR. BOURNAZIAN: Correct.

2 DR. BLAIR: And then it would seem
3 that the problem is that the user doesn't know
4 your default. So, you know, once the -- after
5 a while, they could kind of figure out ah hah,
6 you know, apparently --

7 MR. BROWN: But if two tables were
8 in the same publication and one only had
9 nominal and one had real and nominal, the
10 second table would not be labeled nominal even
11 though it was in the same publication.

12 DR. BLAIR: That's the way --

13 MR. BOURNAZIAN: Yes, that's
14 correct.

15 DR. BLAIR: -- that's the way I
16 read it. And so it would seem that the
17 sensible answer is that you would -- if it's
18 nominal, you would say nominal and if it's
19 real, you would say real. Always.

20 MR. BOURNAZIAN: Now the question
21 is are you a sensible person --

22 (Laughter.)

1 MR. BOURNAZIAN: -- because I want
2 to know your view.

3 DR. BLAIR: Regrettably no.

4 (Laughter.)

5 MR. KOKKELENBERG: I have a basic
6 question. First of all, there's no reason why
7 you couldn't prominently display a statement
8 of what nominal prices are and what real
9 prices are. You don't have to put it on every
10 table. But you could have it early in the
11 material you do display.

12 Now when you do web page things,
13 that's a little bit more. But you might have
14 a footnote that says for definitions of real
15 and nominal, go see or click here.

16 The second thing is what the heck
17 do you mean by real? This chart is terrible
18 because it says they're real prices. Oh, well
19 what does that mean?

20 Well, as an economist, I would say
21 they've probably been adjusted it for
22 inflation. But what index is used to adjust

1 them for inflation? Is it the Consumer Price
2 Index for all Urban Consumers? Is it an index
3 that says whatever price of gasoline existing
4 in 2008 was the real price and I'm going to
5 call that equal to 100 and then do that?

6 And, you know, your common garden
7 variety user isn't go to go that far, right?

8 And the other question is well
9 maybe it was the producer's price index. Or
10 maybe it was a composite market basket of
11 gasoline prices.

12 MR. BOURNAZIAN: Well, it's fair
13 to say if you flip the page prior to that
14 draft, you'll see all the methodology. But I
15 didn't --

16 MR. KOKKELENBERG: Oh, okay. All
17 right.

18 MR. BOURNAZIAN: It does say --

19 MR. KOKKELENBERG: Well, wait a
20 minute. Real petroleum prices --

21 MR. BOURNAZIAN: Your comment is
22 still very much on point.

1 MR. KOKKELENBERG: -- okay, fine.

2 All right. You did use the CPI here. But
3 what's the base period? It says in some base
4 period.

5 MR. BOURNAZIAN: Right.

6 MR. KOKKELENBERG: Okay?

7 MR. BOURNAZIAN: You rest your
8 case.

9 MR. KOKKELENBERG: I rest my case.

10 (Laughter.)

11 MR. KOKKELENBERG: Right. Also, I
12 have this problem that I was on a committee
13 that was advising our university library about
14 how to set up many of its web pages.

15 And one of the problems are that -
16 - quickly identified that users of search
17 engines take the first two or three hits.
18 They don't go any deeper. You could have
19 250,000 hits and they won't drill down past
20 the first page.

21 So when you're doing this and you
22 get different ways to look at the numbers,

1 you've got real problems. The consistency
2 thing that you're asking for or seeking is, I
3 think, very important simply because of that
4 tendency of people to grab the first number
5 they see. So --

6 MS. KIRKENDALL: Consistency is
7 wonderful but I'd prefer current dollars and
8 constant dollars.

9 MR. BOURNAZIAN: Expert
10 terminology?

11 MS. KIRKENDALL: Yes. I don't
12 like nominal. Ah, what's nominal?

13 (Laughter.)

14 MR. BOURNAZIAN: We've got two
15 votes for current so far.

16 MR. MELENDEZ: My suggestion has
17 nothing to do with real or nominal but perhaps
18 in getting more advice. This is -- reaching
19 out to this group is great. You have an
20 opportunity next week at the Energy Conference
21 to perhaps pulse folks that are users of your
22 website. You said two-and-a-half million hits

1 a day?

2 MR. BOURNAZIAN: Per month.

3 MR. MELENDEZ: Oh, per month. I'd
4 go and seek some more -- you know from real
5 users who are big users of your data. Just a
6 suggestion.

7 MR. BOURNAZIAN: That's a good
8 suggestion, too. I think we may want to have
9 some targeted focus groups and media people,
10 some heavy data users like you just outlined.
11 And see what they say.

12 DR. BLAIR: Other comments?

13 MS. BROWN: I'll just add this one
14 comment is that we -- this is Stephanie --
15 this has been a topic of discussion internally
16 with the office directors and staff here
17 trying to get consensus on how we're going to
18 move forward. It isn't just with this group.

19 We sort of -- and Jake's been
20 leading this effort -- trying to get people to
21 think about it and come up with a workable
22 solution for everybody. So thank you for the

1 suggestion of taking it outside to the Energy
2 Conference also.

3 MR. COHEN: He said he was going
4 to have a show of hands or something.

5 DR. BLAIR: Yes, that's right.
6 Or, you know, we could do a quick
7 questionnaire here, write one up. Would you
8 care to poll the group in some fashion?

9 MR. BOURNAZIAN: Yes, I would.
10 And the question I'd like you to respond to is
11 when viewing energy price statistics, do you
12 prefer to see the term nominal in the title?
13 So it's nominal wholesale prices, nominal
14 retails.

15 I'd like to see a show of hands.
16 How many people would prefer that labeling?

17 MS. BROWN: As opposed to?

18 MR. BOURNAZIAN: The current
19 default practice which is to not have the word
20 nominal in there.

21 MR. KOKKELENBERG: I'd prefer
22 that. I think Nancy's point might be well

1 considered in that. But given that
2 variability of whether it's nominal or current
3 or something like that, yes.

4 MR. BOURNAZIAN: Your preference
5 would be to see the word nominal? So I have
6 one, two, three, four, five, six, seven,
7 eight.

8 MS. BROWN: Is it -- let me --
9 Stephanie -- clarify, are you asking the word
10 nominal versus nothing? Or some word versus
11 nothing? Because that would take into account
12 like Nancy said.

13 MR. BOURNAZIAN: I'm asking the
14 word nominal or something substantially
15 similar, you know, whether you pick Nancy's
16 word or, you know, whatever is helpful.

17 MS. BROWN: Something versus
18 nothing.

19 MR. BOURNAZIAN: Whether it's
20 current, nominal --

21 MS. BROWN: Okay.

22 MR. BOURNAZIAN: -- but basically

1 the decision would -- or the comparison is
2 against our default current practice which is
3 to not use any labeling on that. So I believe
4 that eight Committee members responded
5 affirmatively.

6 But there was actually one that
7 did not. Might I hear your --

8 MR. IANNACCHIONE: I actually did.

9 MR. BOURNAZIAN: Oh, okay.

10 MR. IANNACCHIONE: I would say
11 that this group, with all due respect, is not
12 very representative of --

13 MR. BOURNAZIAN: Right.

14 MR. IANNACCHIONE: -- your user
15 group. And I wonder, to expand on Izzy's
16 suggestion, why don't you put this question
17 out on the web and let people respond to it?

18 MR. BOURNAZIAN: That's another
19 way to solicit feedback. Okay.

20 PARTICIPANT: I think some places
21 use it -- sorry -- put it in parenthesis
22 rather than in the title, right, if you put

1 like current dollars in parenthesis under the
2 title. So you'd say, you know, sales of
3 gasoline (current dollars).

4 MR. HILL: This is Walter Hill.
5 Just someplace on the page. I would not
6 necessarily want it in the title but a
7 footnote so you see it on the page rather than
8 trying to guess.

9 MR. BROWN: And I prefer current
10 dollars.

11 MR. HILL: Yes, I prefer current.
12 I use current and constant is what I use.

13 PARTICIPANT: I'd like, as a user
14 of data, I often don't read beginning caveats
15 or instructions of a document that has lots of
16 data. I sometimes go and flip through the
17 pages that give me the information that I
18 think I want.

19 And if, in fact, there's no
20 labeling of what that data -- price data
21 represents, whether it's real 2000 dollars --
22 year 2000 dollars or nominal, I get confused.

1 And, in fact, it forces me to spend a lot more
2 time trying to figure out what that is.

3 I personally would prefer to see
4 it in either parenthetically somewhere in the
5 title or in a footnote or something because,
6 you know, I don't just systematically go
7 through a document and read all of the
8 directions to see whether, in fact, it is
9 going to be nominal or real and what are your
10 dollars.

11 MR. BOURNAZIAN: Okay.

12 DR. BLAIR: Other comments or
13 questions? Do you want to poll us on that
14 one?

15 MR. BOURNAZIAN: No, because it's
16 more broad and open ended for you to give
17 comments on. More or less, you know, what
18 have you done in the past or outside of
19 energy.

20 DR. BLAIR: In that case, thank
21 you very much, Jake.

22 MR. BOURNAZIAN: Thanks.

1 DR. BLAIR: And we have a break.
2 (Whereupon, the foregoing matter
3 went off the record at 10:38 a.m.
4 and resumed at 10:57 a.m.)

5 DR. BLAIR: Well, we'll go ahead
6 and reconvene. And in this session, we have
7 Liquid Fuels Market Model. Andy Kydes is
8 going to start us off.

9 MR. KYDES: Okay. Good morning
10 and welcome. I'm happy to be here and -- at
11 least I am now.

12 What I want to do is give you a
13 brief overview and status report on our new
14 model development effort on the liquid fuel
15 market model, LFMM, and I really twist over
16 that. So let's just call it the LFM so that
17 I don't get too confused and use too many
18 words here.

19 After we go through the quick
20 overview of the status, we're going to go to
21 the summary of the stakeholder inputs that
22 we've gotten and that we've prioritized at

1 this point with the review Board for this
2 project.

3 So basically what I'm going to
4 talk about is why did we do that? Why did we
5 undertake this project? What are, you know,
6 what is the process that we're using? Where
7 are we? And where are we headed? And what's
8 the approximate schedule that we're going to -
9 - we think we're going to be done at with?

10 And then we're going to talk about
11 the stakeholder issues and questions. And I
12 say prioritize because they are prioritized
13 actually by EIA, the OIAF group, not by the
14 stakeholders. We did ask for prioritizations
15 but unfortunately almost all of the
16 prioritizations we got were either critical or
17 very high.

18 So it was difficult to get a
19 spread, a meaningful spread in terms of
20 priorities. So we had to go through and do
21 that ourselves.

22 Okay. So why did we do this? And

1 the critical point is number three, which is
2 to correct deficiencies and add some new
3 capabilities that we thought we needed within
4 this particular model system.

5 And just to be clear on what this
6 modeling system or component is, it's going to
7 replace the petroleum market model. It's
8 going to replace the International Energy
9 Market Module, again, NEMS. And it's also
10 going to take a whole bunch of satellite
11 modules that produce liquids for transport
12 fuels primarily and basically put them in a
13 consistent framework that allows these
14 technologies in fuels to compete against each
15 other in the U.S.

16 And then, again, we're going --
17 and this project is part of the new NEM
18 development. We didn't formally -- though we
19 asked for some 10, 12 million dollars two or
20 three years ago, we didn't quite get that. So
21 instead, because of the priorities, at least
22 this office has, with regard to what needs to

1 really get done, we decided to try and squeeze
2 apart some money, start this process going
3 because we thought it was very important to
4 actually get this new modeling system in place
5 given the interest in liquids today.

6 To be more specific, what am I
7 talking about with regard to improvements?

8 Well, we want a model that is easier to update
9 than the current model -- use and maintain.
10 We want less analyst intervention necessary
11 before we, you know, before we find a
12 converged solution that we believe.

13 We want, to the extent possible, a
14 seamless integration between the domestic
15 liquid market and the international market.
16 There are the usual things of technology
17 assessment, the ability to analyze complex
18 policies related particularly to carbon, cap
19 and trade, and, of course, the new low carbon
20 fuel standard that we haven't integrated yet
21 even in the current system.

22 There are -- obviously we have had

1 some -- because we have so much analyst
2 intervention, this is a big issue for us, the
3 issue of contents in the liquid products and
4 prices -- prices and margins that we've had.
5 We've had to work on, I think, too much.

6 But not that we don't, in the end,
7 have confidence in what we put out but it took
8 us too long to get there. So that's something
9 we want to change. We want to increase model
10 transparency and frankly we thought it was
11 time to reevaluate, you know, the level of
12 technological detail.

13 The refinery has lots of processes
14 in place. We really don't care about most of
15 those. We care about some of them. Whereas
16 coal to liquids or other synfuels, liquids,
17 biomass to liquids, in fact, have sort of a
18 greater level of aggregation.

19 So we want to revisit that
20 particular aspect of how we do that modeling
21 to make sure that we get that right and that
22 we either have more detail on the synfuels or

1 less on the refinery. But in any case,
2 there's now a difference, a major difference
3 between the two.

4 Of course the other thing is that
5 we keep on getting suggestions on is that we
6 really need to make sure that we build in the
7 flexibility to do uncertainty analysis. And
8 this means uncertainty in key inputs and
9 distributions of them, how they effect the
10 distributions of the output.

11 And there are a lot of other
12 things that would be considered. But that's
13 one of them.

14 What's the process we're using?
15 We're going through a formal project
16 management process.

17 This is new to me in the sense of
18 EIA because while I've done project management
19 before, this is actually a formula process you
20 go through in some detail, lots of checks,
21 reviews, to make sure you're on schedule.
22 There's lots of measurements to make sure

1 that, in fact, you are not exceeding costs.

2 You're not too late. And so on.

3 So we're going through this
4 process. We have a formal project review
5 Board which is composed of the office
6 director, who is the sponsor of this project,
7 four division directors, and I meet with them
8 once a month, and I meet with the sponsor once
9 every two weeks. So we've got this
10 communication that's pretty tight with regard
11 to where we are and where we're headed.

12 The major deliverable for this
13 part of the project is the organization and
14 development of the technical workshop, which
15 we hope to have by the end of June of this
16 year. Given contracting vagaries, it may
17 spill over into July. I'm hoping no later
18 than that.

19 But basically this workshop will
20 take the stakeholder inputs, the
21 prioritizations, our views on what's
22 necessary, what's not, along with the

1 stakeholder views of what's important and
2 what's less important.

3 And try and address, okay, the
4 modeling types of questions. What do we need?
5 To what kind of structure can best serve the
6 issues that need to be addressed and the
7 questions that need to be answered?

8 And this includes a lot of
9 questions that need to be answered. This is
10 just a partial list. But how complex should
11 the model be? Should it be simple? Should it
12 be very complex? There's no unanimity of
13 thought on this, by the way, among the
14 stakeholders' responses that we did get,
15 originality, the kind of structure.

16 Certainly the optimization
17 frameworks have gotten advanced enough so that
18 we can now consider nonlinear if it turned out
19 to be the appropriate method to use.

20 And, of course, there's simulation
21 and then what level of product detail, what
22 are the data requirements? You can build a

1 fantastic model but if you can't support with
2 data, there's no point in building it,
3 platform, and so on. All of these things are
4 on the table when we describe or try and
5 discuss the technical aspects of the modeling
6 building this summer.

7 This is the process, the design
8 and development process that we've used so
9 far. We've developed a list of what we think
10 are representative stakeholders for this
11 project. Many of them have been outside of
12 the government. Some of them have been inside
13 the government.

14 And we ask essentially the
15 question what are the key issues and questions
16 that this new model should be able to address
17 in the next five to ten years. So this is the
18 form of the question. And we have, in fact,
19 provided a five-page writeup that has more
20 detail. And at the end, a number of
21 questions.

22 But the central or key question is

1 what are the issues and questions this model
2 has to be able to answer reliably? We
3 developed that list, the initial list by
4 December. We sent out the request for
5 information or feedback.

6 We subsequently added through
7 inputs by various people within our
8 organization and outside of our organization
9 some additional stakeholders which we then
10 continued to send letters to and requests for.

11 At that point we continued to get
12 their inputs. All but one of the inputs, in
13 fact, have been incorporated in our
14 prioritized list of these dates. Because of
15 the formality of the process, I needed help.
16 So we developed a core team to help me through
17 getting through Phase One, which is the
18 completion of the technical workshop
19 organizing that, getting the summaries and so
20 on.

21 And Susan Holte, Phil Tseng, and
22 Randy Cook are the three members of this team

1 that I want to thank. One of them, at least,
2 is here. But I want to acknowledge their
3 help. They've been very helpful in pushing
4 the process along and keeping it close to
5 being on time or a little behind.

6 There were more than 70 individual
7 suggestions made by the stakeholders, not
8 including this group. Again, I mentioned the
9 issue with the prioritization. So we
10 coalesced these 70 or more than 70 into a
11 smaller set.

12 We presented it to the Review
13 Board and we said okay, since, you know,
14 there's not good information or good enough
15 information to really create a separation
16 between these, you guys go ahead and measure
17 it and prioritize these. And so we ended up
18 with a prioritized list. And I'll show you
19 some of that at the end of this thing.

20 We've also gone through the
21 process of trying to get the list of technical
22 experts, modeling experts knowledgeable in the

1 liquid market area. And we were looking for
2 up to about 20, 25 suggestions from which
3 we'll pick four to write white papers on
4 technical aspects of developing this model,
5 given the information from the stakeholders
6 and from basically our needs and priorities
7 and information that must be exchanged between
8 various modules.

9 So the key deliverable is right
10 here, the June or July time frame for the
11 workshop.

12 And I would invite the members of
13 this committee, if you have suggestions toward
14 technical experts in this area, please, please
15 send them to me. I will take them and I will
16 definitely use them in this thought process
17 and in this selection process.

18 I'd like to have them before the
19 end of next week. So you have, you know,
20 several working days maybe to come up with
21 names and e-mail addresses and telephone
22 numbers.

1 Okay, the next steps. After we
2 complete this workshop, we're going to have
3 two independent expert groups develop
4 component design reports which basically lays
5 out the critical issues, the data
6 availability, and the model structures they
7 recommend.

8 And then some of the equations
9 that are characteristic in developing this
10 kind of model. It's not enough to build a
11 model but it's a good place to start.

12 EIA is going to take those reviews
13 and develop its own, taking as many of the
14 good ideas as we can identify them and
15 combining those where it's possible. But in
16 any case, we'll have our own so we'll own it.

17 Then we'll have an independent
18 review. So there's lots of reviews in this
19 process of project management.

20 Once the independent expert
21 reviewers complete their work and we've
22 incorporated their comments, the next step is

1 to develop the full mathematical
2 specification. That's in March.

3 The next one is to -- from March
4 through July -- to produce a pilot model that
5 stands alone using something that's quick and
6 easy. Think of MetLab that's going through
7 part of NEMS initially but something that we
8 can fully test, put it through its paces.

9 Once we've got that and obviously
10 we're going to be modifying the representation
11 because we're going to learn some things in
12 the process, once we think we've learned
13 enough, we're going to present it to the IER
14 and get some feedback there.

15 Once we've basically addressed
16 those hurdles or those issues, we'll be then
17 starting the full model implementation within
18 NEMS. Then do the testing and the
19 documentation. And be ready for use for
20 AEO2012.

21 This is a long cycle. And it's a
22 long cycle because we're trying to do it

1 right, in a sense. We've adopted the project
2 management approach with feedback.

3 It's going to be cut off at any
4 stage where we think it's really the wrong way
5 to go or, you know, the wrong thing to do.

6 Now let's get to the categories of
7 stakeholder interests or inputs. And this is
8 the, if you want, the buckets in terms of
9 which the suggestions and questions could fall
10 in to within the areas of markets -- of prices
11 and margins, technology assessments, lot of
12 these.

13 The key ones that I think occurred
14 pretty often were the prices and margins, for
15 example, type assessment, competition,
16 international here, and policy analysis.
17 There are all sorts of policy analysis. This
18 model should be able to do lots of different
19 types of policy analysis including the low
20 carbon fuel standard for the U.S.

21 There were -- there was one
22 mention of security. Externalities here

1 refers to water and land competition, energy
2 crops versus food primarily, and, of course,
3 a few of us picked up on the fact that the
4 current model doesn't really represent a
5 vintage representation of capacity so you
6 really have a tough time trying to figure out
7 what the investments to make to meet the new
8 changing mix of outputs -- petroleum product
9 outputs or liquids -- given new, for example,
10 ARCA standards, less gasoline, for example,
11 possibly more diesel, the refineries, all the
12 refineries can't meet that.

13 And so you either have to invest
14 so that they can change their mix or you have
15 to retire them. And we have to provide enough
16 details so that we can make that decision
17 within the model.

18 Now these are, in fact, the
19 suggestions that were provided. And these
20 are, remember, coalesced suggestions. So
21 we've taken some liberties to reduce the
22 number from 70 to -- I don't know -- about 45

1 or 50. And even that's too large. But
2 there's still some development in this here.

3 But the main point here is that
4 many of these suggestions were not in the form
5 of questions or issues to be addressed. They
6 were in the form of how to address some
7 unspoken set of issues and questions.

8 That isn't bad because we're smart
9 enough to be able to backtrack and figure out
10 what we think they were. But in terms of
11 being sort of transparent and honest, we
12 simply put them down in the form we got them.

13 So this is the form we got them.
14 And so you can see number one priority of
15 those that we have is fuel prices by market
16 segment and disaggregated by margins,
17 disaggregated by product and region.

18 Lots of times, you have a
19 recurrent theme for policy analysis of
20 environmental issues, carbon cap-and-trade.
21 Also tax policies, tax incentives. These are
22 listed several times, as you'll see, in these

1 handouts.

2 Some of the ones that occurred
3 very often, they wanted to make sure that we
4 incorporated alternate fuel supplies for
5 liquids. That is bio liquids of all sorts
6 including ethanol liquids, gas liquids, bio
7 mass liquids, ethanol. They want all this to
8 be done on a level playing field. And the
9 competition should be correctly represented.

10 And, of course, they wanted market
11 behavior included in there. And, of course,
12 they wanted, again, more policies that they
13 wanted us to be able to address.

14 Some more, there were some very
15 specific suggestions. Make sure you can
16 address the impact of an ethanol tariff.
17 Well, okay, we do that. And that was nice.
18 But also we'll be moving it.

19 But there were, again, the
20 recurrent themes, potential to analyze taxes,
21 tax incentives, constraints on the kinds of
22 liquids you can use and their content, carbon

1 content or particulate content, or sulfur
2 content, and their impact on liquid prices and
3 environmental emissions.

4 And also on investments. A key
5 point. They continually, particularly the oil
6 and gas industry, stressed make sure you
7 include the costs and benefits -- not just the
8 benefits -- of forcing a particular policy on
9 the system because they feared that we would
10 be under representing the cost of the industry
11 in trying to push a particular policy for
12 using fuel that would lower the carbon for
13 example.

14 There was one strong request to --
15 more than one but one very strong one to make
16 sure that we broke up the liquids production
17 between refinery gate, transportation,
18 distribution, and dispensing in order to be
19 able to identify the bottlenecks for
20 particularly new products.

21 So, you know, there's a whole slew
22 of these. Again, include the non-petroleum

1 feedstocks so you can do that. Make sure --
2 so you can represent correctly. Fairly, I
3 think the word fairly was used a number of
4 times. The competition that has to go on
5 between the petroleum source, liquids, and
6 conventional liquids, for example.

7 And make sure that you show -- I
8 don't see it here but it's somewhere in here -
9 - the competition between the uses for bio
10 fuels.

11 That is bio fuels used for energy
12 production versus bio fuels used for liquids,
13 bio fuels used for generation in bio mass
14 generation versus bio fuels used for liquids
15 in transport fuels. And so that was
16 repeatedly stated a number of times.

17 And then finally, realistic
18 representation of market adoption for new
19 technologies.

20 I'm happy to give this group the
21 full list, all 70-plus of them on a
22 spreadsheet with attribution. I will take the

1 names of the individuals who suggested a
2 particular item off so that -- so there's no
3 issue related to attribution.

4 The one thing I want to say is
5 that I put out the original list to the
6 stakeholders on -- I think it was December
7 31st or 30th. And one of your ASA members
8 sent me his responses on January 1st. I was
9 impressed. I was truly impressed. Thank you,
10 John.

11 (Laughter.)

12 MS. BROWN: And identified.

13 MR. KYDES: And with that, because
14 there were so many individual suggestions,
15 I've given you just the highlights of the top
16 roughly 30. But I didn't want to go through
17 all of them because there's no time.

18 But you can view them yourselves.
19 And I would be happy to send them to you.

20 At this point, are there any
21 questions?

22 MR. BROWN: You are not required

1 to represent the production of crude oil for
2 this, right?

3 MR. KYDES: No. We're not
4 required to represent the production of crude
5 oil except that it is an important component
6 of the turbine and crude oil prices.

7 MR. BROWN: Okay. You demand
8 crude oil.

9 MR. KYDES: I demand crude oil. I
10 demand the correct price relationship with
11 supply availability.

12 MR. BROWN: Okay.

13 MR. KYDES: Right.

14 MR. WEYANT: Can you describe
15 exactly how the oil price directories and NEMS
16 are developed because it looks like they're
17 kind of -- they're not in this module, I
18 guess, at least part of the determinants are.

19 Then there's the international
20 energy model. But it almost seems like a lot
21 of what matters are in the inputs to that. Is
22 that a correct interpretation?

1 So the question is how do you get
2 those, you know, the 200, 110, 70 --

3 MR. KYDES: Okay. To be
4 completely above Board, those are done through
5 a Delphi method in terms of selecting the
6 initial low, medium references and high. We
7 really don't have a model per se that can
8 produce for us a particular price trajectory.

9 MR. WEYANT: I understand. The
10 people who do that are, we think, are well
11 aware of the numbers and behavior of the
12 different modules in terms of, you know, how
13 big a deal is bio fuels, unconventional versus
14 conventional. You'll probably have to have
15 some.

16 MR. KYDES: Yes. When I mentioned
17 the -- first you have the gross assumption on
18 prices. Then you have the external analysis
19 of what the aggregate demand is by product,
20 again.

21 But then the supply of crude oil
22 is really identified by -- it has to be

1 identified and is identified by at this point
2 five different crude types from regions.

3 And those then -- there's actually
4 a simple model of supply and demand and
5 involve the crude types and some refinery
6 representation. That feeds into currently the
7 international energy model, which is then used
8 by the rest of the NEMS.

9 PARTICIPANT: Can I make a
10 statement just about the oil prices? Is this
11 a good time to try and address that? Or is
12 this not the right time?

13 MR. KYDES: Yes.

14 PARTICIPANT: And so the oil price
15 is -- you take an oil price trajectory and
16 then we run it through WEPS+ to see what the
17 demand for total liquids are. And then we
18 have a model called GWAD where we try and meet
19 that demand.

20 And so then what develops is you
21 find that certain oil prices you need more oil
22 than you think is reasonable to produce or you

1 have an increased demand for OPEC crude or
2 whatever. So it is an iterative process. But
3 it's not a model iterative process. There is
4 human intervention that way.

5 DR. BLAIR: Are you going to get
6 Mike up next?

7 MR. KYDES: I think we are, yes.

8 So Mike Toman is going to give
9 Market Behavior Response.

10 MR. TOMAN: Thank you, Andy. It's
11 always a little disconcerting when you learn
12 more from the prelude presentation than you
13 knew when you were preparing your comments.
14 So we'll have to play a little catch up on
15 this.

16 But also I should say what I want
17 to do here, per Ed's request, is provide
18 somewhat an organized synthesis of comments
19 that John Weyant had produced which I saw
20 yesterday, things that Steve Brown produced,
21 which I saw about a week ago, and my own.

22 And I'll invite both Steve and

1 John to, you know, quickly and mercilessly
2 correct me if I forget anything or get
3 anything wrong.

4 We haven't gotten Cutler's
5 comments, to my knowledge yet, unless they
6 came in very early this morning and I didn't
7 see them.

8 DR. BLAIR: Oh, here they are.
9 Can you integrate them please?

10 MR. TOMAN: Oh, sure, okay.

11 (Laughter.)

12 MR. TOMAN: I'll be happy to do
13 that tomorrow.

14 Well, let me get to it so we have
15 more time for discussion. I think that the
16 list that Andy showed us of the different
17 kinds of stakeholder requests, preferences,
18 goals, is helpful. And it does show that
19 people are thinking about this effort in
20 multiple ways.

21 They're thinking about how to
22 build the model, the kinds of things they want

1 the model to produce, and then the kinds of
2 questions they want the model to answer. We
3 were asked to comment on that last category.
4 But I want to share -- because they were part
5 of the overall feedback of the three of us --
6 a few observations as well on the approaches
7 and the nature of the outputs.

8 On the approaches, I think -- and
9 I don't think any of this, with perhaps one
10 exception, is not already covered in the
11 comments that you have, Andy. So these are
12 more in the way of endorsements.

13 I think the ability to do -- we
14 think the ability to do uncertainty analyses,
15 sensitivity analyses is obviously crucial.
16 But particularly in this case when so many of
17 the alternative fuel technologies remain so
18 profoundly uncertain, it's going to require a
19 great deal of, I think, even offline work to
20 think through the range of reasonable
21 parameters to be putting in for describing
22 supply behavior on several of these

1 alternatives.

2 And I think with that would come
3 the virtue of modularity. You mentioned that
4 this replaces several different components.
5 And I'm hopeful that as the architecture of
6 the model itself develops, one would be able
7 to build it and then snap on additional pieces
8 as they became available with relative ease.

9 And example might be that it's
10 very difficult now, at least in my view, to
11 have any solid judgment about the economics of
12 production of liquids from oil shale with in
13 situ technology. You could build that module
14 now but it would sort of sit there idle.

15 If you build it later and snapped
16 it in and didn't have to redo the model, that
17 would be a good thing. And presumably you've
18 already been, you know, thinking that through.

19 One point that John particularly
20 emphasized but I would certainly agree with is
21 the ability to capture some form of forward-
22 looking investment behavior, to not have

1 investment be myopic or recursive but to try
2 to have investment based on some notion of
3 expected long-run returns to that investment
4 and not just, you know, conditions of that
5 moment.

6 That obviously makes the model
7 harder to do but I think when we're talking
8 about the kind of investments that we're
9 considering here, that would be a high bar
10 well worth aiming for.

11 Now Steve mentioned in his
12 comments the question of seasonality. And I
13 actually don't know what the time steps in
14 this would be because as a consumer of the
15 products, I tend to look at, you know, mostly
16 the annual results, in fact.

17 So I don't know to what extent the
18 model needs to be given extra work or
19 adjustment to deal with the realities of the
20 seasonal behavior of the markets. Presumably
21 you've already figured out what you want to do
22 on that. But it's clearly important.

1 One question that you asked and I
2 have a thought on it, perhaps a naive one, and
3 John and Steve can weigh in on this, too, as
4 well as others, is this idea of having one
5 model that can be used for both the domestic
6 application and a direct feed to the
7 international application or possibly two
8 models.

9 One model seems like a good idea
10 but I don't know enough about the nature of
11 the non-U.S. data to know how well that works.
12 If the non-U.S. data are very coarse and you'd
13 have to coarsen up the U.S. data as a
14 consequence to make it work, it may be
15 worthwhile to have separate models rather than
16 a one size fits two purposes.

17 But, again, that reflects
18 ignorance and naivete on my part about the
19 data. And so that's more like a point for
20 thought rather than any kind of serious
21 recommendation at least now.

22 Another area where I at least have

1 an opinion and others may or may not agree is
2 I think that this is an area in which less can
3 be more. I applaud the desire to move away
4 from a detailed process refining model of
5 which there is exactly one in each pad. That
6 strikes me as a really good idea.

7 But I know from some of the work
8 that I've been involved with looking at
9 specific energy types because of the
10 uncertainties about them and then often the
11 heterogeneities of the supply conditions, a
12 very elaborate model that includes a lot of
13 that may end up simply making it harder to
14 detect the effects of changes in parameters
15 that you are trying to do in a policy
16 analysis.

17 So there's a trade off here. But
18 I would at least tend to say something along,
19 you know, to caricature more along the lines
20 of, you know, simple supply curves or with
21 multi product, you know, outputs, cost curves
22 plus product trade offs, you know obviously

1 the real model would be a little more jazzed
2 up than that but I think in particular the
3 idea of hanging on to a separate, really
4 detailed model, I'm not sure I see the virtue
5 in that. But then, again, I don't work for
6 EIA and you may have strong reasons to do
7 that.

8 For the purposes that the request
9 letter laid out, I think it would be good to
10 move to a much more transparent framework that
11 would make it easier to use and easier to see
12 what's driving what.

13 Okay, so a couple of quick
14 comments on the outputs, I mean a lot of that,
15 I guess, is pretty much what one would expect.
16 And your stakeholders have identified, you
17 know, a lot of the obvious things that you'd
18 certainly want a model to do.

19 One thing that I think will be
20 important to think through is that when you
21 are wanting to do costs and benefits, what
22 would be your device for measuring costs and

1 benefits?

2 If this is a model, as I
3 understand it, that sort of takes a menu of
4 demands for liquid fuels and then works out
5 how to supply them, you can certainly work out
6 the supply side cost impacts. If they make
7 fuel more expensive, there's going to be
8 losses in consumer surplus and so on.

9 So presumably to do complete
10 welfare analysis of the policies and not just
11 increased costs of production, you'd want to
12 have some ability to deal with larger economic
13 effects than just movements in the supply
14 relationships and the associated costs.

15 I'm not sure how inter-fuel
16 competition will be represented -- one of the
17 questions that was raised in the annex -- and
18 I'm also not sure how important it is. So I
19 should say that.

20 To the extent that the fuels are
21 not actually, you know, homogeneous goods,
22 just liquids that are basically all the same

1 except maybe there's a different thermal
2 content per volume, then presumably there is
3 some kind of imperfect competition or
4 different goods competition that's going on
5 that may be important to represent more
6 explicitly in the cases where that's important
7 so that you're getting a competition among the
8 attributes of goods and not just among
9 different energy forums.

10 That may end up being more
11 relevant in dealing with the vehicle side,
12 which is not in the model, you know the old
13 story of everybody buy compressed natural gas
14 vehicles so they didn't lose the whole trunk
15 to the tank. So maybe that shows up elsewhere
16 in the overall modeling system.

17 But if the fuels are different,
18 then I think those differences need to be
19 retained if they're different in an
20 economically significant way.

21 I think more than anything else,
22 at least my own opinion, the ability to talk

1 about, as an output of the model, what the
2 model means for the consumption and cost of
3 bio feed stocks is just huge. And I think
4 it's the area in which we absolutely know the
5 very least of any of the things that are being
6 addressed in this kind of modeling effort.

7 That also then refers, you know,
8 of course to important applications. But
9 trying to construct supply curves for bio feed
10 stocks is a pretty difficult exercise. And I
11 think it is something that really warrants a
12 pretty significant investment of effort
13 amongst the different things you'll have to be
14 investing in to get the new framework up and
15 running.

16 And that would include then, in
17 the larger application, the point that you
18 made in the overhead about potential other
19 sources of demand for feedstocks and what
20 competition between bio electric and bio fuel,
21 for example, might turn out to look like.

22 In the applications -- and also

1 then sort of the consequences for the modeling
2 itself, to come back briefly to that -- it
3 seems like it is possible perhaps to compress
4 that still-large set of different interests
5 that you have a little bit.

6 And they all seem to involve
7 things, which, again, speaking in simple-
8 minded terms -- that's my comparative
9 advantage -- you have to have the ability to
10 show how changes in the overall supply side,
11 you know, the availability of more fuels of
12 different types, if that's changing the share
13 of conventional refined petroleum products in
14 the market or the mix, you know, we need to be
15 able to look at the refining cost implications
16 of that, for example.

17 So there has to be the ability to
18 tie together from the overall product slate
19 back to the individual refining unit or set of
20 refining units. And basically there has to be
21 some way to manipulate the parameters of these
22 supply relationships because a lot of the

1 policy interventions that will be considered
2 won't be, I think, just output-based standards
3 or, you know, pricing policies.

4 There's still, in my view at
5 least, continued relevance in the ability to
6 describe things that actually move the supply
7 curve around -- technology-based, you know,
8 regulation.

9 If the current Administration
10 decides to revisit standards for air toxics,
11 for example, this could certainly change the
12 nature of refining technology and what gets
13 snapped on to the building. It's not just a
14 cap-and-trade for a pollutant.

15 So it seems like the categories
16 that we can distill out of interest are first,
17 just what happens if alternate fuels start
18 taking on a larger share of the market?
19 Whether that's driven by improvement in their
20 cost structures or the various policy levers
21 that you've already identified. So that would
22 be one application.

1 You know if you're working
2 backwards from the question to the model, that
3 seems like something you'd really want to be
4 able to do.

5 Another category in your note, you
6 said define energy security if you dare to
7 mention the phrase. And so to me, not
8 everything that mean when they ask this but
9 sort of the most interesting and sensible
10 questions that are brought to mind is if
11 you've got policies that are either trying to
12 restrict overall use of liquid fuels or
13 policies on the supply side that try to torque
14 the mix in different ways, tax preferences,
15 investment tax credits, efficiency standards
16 on the demand side, you know you want to be
17 able to deploy in the model a good suite of
18 different policy options and trace those
19 through.

20 And again, some of those may
21 involve changing the composition of demand for
22 different fuels. Some of them may involve,

1 you know, actually changing the relative costs
2 of the different fuel types.

3 So we've got kind of alternate
4 fuels as a market or policy phenomenon
5 themselves. Energy security is something that
6 links to alternate fuels but also to the
7 demand side. How well will the model run
8 globally?

9 Or even taking in global inputs
10 and run domestically, how well will it be able
11 to capture the way investment response to
12 rising global demand, you know, the talk that
13 has gone on for some years now about the rapid
14 and even unexpected growth and demand in China
15 and other rapidly-growing developing
16 countries, will the model be able to give good
17 insights because policy makers, I think, will
18 continue to be asking those questions.

19 And then I've already mentioned
20 the ability to look at feedstocks for bio
21 fuels. So the flip side of being able to
22 model it well and reflect the uncertainties is

1 then to be able to look at different policy
2 approaches toward expanding bio fuel feedstock
3 availability. Are we going to sort of dismiss
4 the conservation reservation and turn it into
5 a feedstock farm or something like that?

6 The environmental area,
7 obviously, is important. That could include,
8 as Steve pointed out in one of his comments,
9 the effects on investment of constrained
10 sighting or lags in permitting. Certainly it
11 will involve carbon pricing.

12 But as I mentioned, it could also
13 involved technology approaches. And
14 presumably the model will also be able to give
15 some insights into what the differentiated
16 fuel recipes mean for pricing in local markets
17 for like gasoline where you can't really trade
18 across price differences without violating,
19 you know, local air quality standards.

20 Now the last thing that was
21 mentioned, and John particularly called this
22 out, but then I think the Q&A may have taken

1 us a little further on that is the question of
2 using the model to explore market power. And
3 it may be that there are important instances
4 of downstream market power, at least in the
5 short run, that one could explore.

6 Maybe there are certain markets
7 that are kind of captive to a few refineries,
8 I don't hear much about that so I kind of
9 assume at this point that isn't a major issue
10 in the market.

11 The concern is usually with crude
12 oil behavior, supply and pricing behavior, and
13 presumably that's outside the model, this
14 model, so I don't know whether it's possible
15 to get traction on this issue in this modeling
16 effort. Or whether that's part of the larger
17 suite of efforts that EIA might be
18 considering.

19 You know my view, having thought
20 about this a little bit over a few years, is
21 that it's very interesting and very tough. So
22 I'm not sure I would necessarily put it at the

1 top. In fact I'm sure I would not put it at
2 the top of my priority list given all the
3 other things you have to do. But it
4 ultimately would be useful to be able to help
5 policymakers think that through as well.

6 Now can I turn it directly back to
7 Steve and John to see if there's anything that
8 they either want to contradict or add before
9 we open it up?

10 MR. BROWN: It seemed like a very
11 comprehensive list to me.

12 MR. WEYANT: Well, I have some
13 general comments just learning from, you know,
14 the real time problem during our discussion
15 here and your comments but I can do those
16 another time.

17 So this will seem like partly a
18 summary but in many ways a reinforcement and
19 modest elaboration of what Mike has already
20 said to kind of take Mike as a spokesman for
21 our group any time is the optimal strategy.

22 So one thing to keep in mind, I

1 guess I view this, particularly in EIA, this
2 opportunity to kind of think about models from
3 the ground up, as a real kind of precious, you
4 know, much more valuable than oil or good old,
5 probably like diamonds, or maybe even
6 dilithium crystals. Because I think you guys
7 don't get many opportunities to do this.

8 I actually remember the whole NEMS
9 debate. And there was going to be new model
10 development. But there were a hundred
11 different directions to go and lots of
12 reports, special reports, and regular reports.
13 So I think it is a very unique and valuable
14 opportunity.

15 But -- so I always start with --
16 some people asked me what -- is this a good
17 model or is that a good model? So I have this
18 kind of snide way of just getting people to
19 think more broadly and I think you are well on
20 your way to doing this.

21 So I guess I find in a lot of
22 applications, you know, one percent of

1 formulation is worth about 99 percent of, you
2 know, model other than design computations and
3 stuff but particularly at points like this.

4 So the snide response I have to --
5 the question of -- I'm always asked what makes
6 a good scenario, what makes a good model, what
7 makes a good approach to uncertainty, what
8 makes a good approach to model assessment?

9 And my answer is always it all
10 depends on the question. So Mike actually
11 started with questions as your survey did.
12 But I think you need to continue to push in
13 that direction.

14 So I like Mike's idea because one
15 thing I jotted down right as he was starting
16 there is you could do -- and he did start and
17 Andy started and your committee started on
18 market segmentation kinds of things.

19 I guess I do worry that you'll get
20 pulled into -- and this is just an
21 occupational hazard here at EIA -- into a
22 model that does everything.

1 But if you think about it, would a
2 model that does, you know, the U.S. version of
3 a whale oil market for the purpose of
4 projecting oil prices be different or similar
5 to some, you know, corn ethanol guy who really
6 wants to know exactly what his product is
7 going to be worth versus another one. Or --
8 I don't know -- electric -- I actually had
9 some neat course projects, as I mentioned
10 before, electric cars.

11 You say well, it's hard to use
12 NEMS to do, you know, the better price model
13 of electric cars. But you're asked to do all
14 of these kinds of things. So I think market
15 segmentation might be good.

16 And I always come back and I know
17 you've heard this before, but here again, Mike
18 did a very good job of arguing for modularity.
19 That you might be able to prune it down to
20 three, four, five, six categories. I had a
21 list of three.

22 He had a list of six or seven that

1 I think, you know, you could probably refine
2 it. But boy, for off the top of your head,
3 that was a pretty good one.

4 And then you -- but are we really
5 -- just because it's just design phase and not
6 implementation phase, think through, as you do
7 on the NEMS documentation, all the linkages
8 with all the other modules and what those
9 would entail.

10 And how much you would be able to
11 do with the existing architecture, just for a
12 few specific examples that I think are hard
13 that I've thought a little bit about is on the
14 bio fuels because I've been through this with
15 the global models, kind of right in the middle
16 of the -- well, let's just put it bio fuels
17 technology in. Maybe we couple it to carbon
18 capture and sequestration. Boy, that could do
19 negative emissions. It wouldn't be cool.

20 So there actually was a bunch of
21 groups that put that out. Then the
22 negotiators wanted this to be kind of a main

1 scenario. And people said well, we didn't
2 really look at that. And who knows if there's
3 enough land to do this. And whether it's on
4 marginal lands, national park lands, or we're
5 taking ag land away from starving people in
6 the developing world.

7 So you will have to, at some
8 point, I think in doing this market
9 segmentation and modularity, think how to
10 confront some of those problems. But I think
11 if you get it down to five or six potential
12 main uses as opposed to all 70, I think that's
13 possible.

14 And there are kind of specific
15 things. The other one that I hadn't thought
16 about but should have is this Clean Air Act
17 amendment overlay when you're talking about
18 refineries and bio fuels and greenhouse gases.

19 The other big one on the biofuels
20 was if you're not careful, the way to get
21 stuff to grow fast in a small amount of land
22 is to dose it pretty heavily with nitrogen

1 fertilizer, which produces nitrous oxide,
2 which is almost a perfect substitute for
3 carbon dioxide as a radiative-forcing agent.

4 So -- actually when I think that
5 community, you know well some of the people in
6 the U.S. can help thinking about that. But
7 the Clean Air Act probably -- I just -- don't
8 ask me why I read the whole, you know,
9 American Bar Association overhead on the Clean
10 Air Act and there is a lot of -- Mike probably
11 knows better than some other people here do --
12 things that are coming along.

13 But if you're talking about
14 refineries and citing refineries and what
15 constraints there might be on them and bio
16 fuels plants and I guess the other big one
17 that wasn't explicitly mentioned but it's
18 really prominent in the current projections of
19 liquid fuels is the non-conventionals. So I
20 guess I got from the last couple of meetings
21 that peak oil is kind of not completely out of
22 the cards for conventional oil, even a clean

1 EIA, but the big issue is how much, I guess,
2 tar sands are now heavy, heavy. Do I have
3 that right? Heavy, heavy oil or heavy, heavy,
4 heavy oil.

5 All those categories, I just
6 talked to somebody who was just up in Alberta
7 and they're planning on exporting five-ten
8 million barrels a day to the U.S.

9 So I don't know what all -- I
10 think it just means to proceed along the path
11 that Andy described that Mike augmented. But
12 to do as much of this -- actually take some
13 lessons from marketing to do kind of even more
14 intense focus groups and I guess the one thing
15 that popped into my mind when Mike was
16 speaking was this idea of market segmentation,
17 that you could group this.

18 And I guess you already tried some
19 consolidation. But then I guess the next step
20 would be to kind of run that through a more
21 full preliminary design thing in terms of what
22 that is going to mean in terms of information

1 from other modules, information provided to
2 other modules, and so on.

3 I know you hear this all the time
4 but if this is one of the few times where I
5 think you've really had the chance in the last
6 10, 15 years anyway to rethink kind of the
7 design at that level as opposed to improving
8 one or another of the individual modules.

9 MR. BROWN: One environmental
10 issue that John's comments just refreshed in
11 my mind is that the carbon content of some of
12 our imported liquids, such as the tar sands
13 oil from Canada, is a little bit different
14 than let's say domestically produced light
15 crudes.

16 And I know that's something that
17 the current NEMS model does not take into
18 account. We don't import any of the carbon
19 that -- you know, the carbon content that is
20 produced overseas, we don't import that so
21 that we don't actually get to see kind of the
22 net carbon contribution of our consumption

1 activity.

2 And that may be something that
3 even if you don't want to answer, someone
4 might want to have answered not too far down
5 the road.

6 MR. KOKKELENBERG: I'm simply
7 going to underscore Steve's comment, to some
8 extent here. Congress apparently has, and
9 society has two objectives. One is to
10 minimize the importation of crude oil from the
11 Middle East or other unstable areas. And the
12 other is carbon dioxide control.

13 And the models and the development
14 I'm sure are serving both of those. But those
15 two aspects are probably going to be the ones
16 where you get questions in the near-term
17 future anyway.

18 And so issues like Steve just
19 pointed out about the carbon content of
20 various sources as well as the BTU content and
21 -- because bio fuels might be great for crude
22 oil substitute. But they certainly are no

1 panacea for carbon dioxide.

2 DR. BLAIR: Other comments?

3 Questions?

4 (No response.)

5 DR. BLAIR: Did anybody in the
6 audience want to make a comment or question on
7 this subject?

8 Going once -- Andy, did you want
9 to say anything?

10 MR. SCHAAL: I'm Michael Schaal.
11 I'm the Director of the Oil and Gas Division
12 within Integrated Analysis and Forecasting.
13 And I very much appreciate your comments and
14 suggestions that I've heard here today.

15 And I'd like to underline one
16 issue that I think comes out of the
17 discussions here, one of which is this is an
18 excellent opportunity to take what we have and
19 make it simple within the context of what we
20 want to do in terms of policy analysis.

21 But also towards the end of this
22 conversation, I'm struck by the number of

1 issues that are new and arising that are
2 potentially complex and have a degree of
3 uncertainty which come in to some conflict
4 with the idea of keeping the modeling approach
5 simple.

6 So I think that's one of the key
7 tension points that we're going to face in
8 discussing what this new module looks like
9 going forward. And I think that's one of the
10 observations that I get out of observing the
11 conversation and the feedback that we've
12 gotten here today.

13 Thank you.

14 MR. TOMAN: Just a -- I think you
15 make a very good point. So maybe five seconds
16 on that.

17 To the extent that you have the
18 ability to modularize so that a lot of
19 uncertainties can be dealt with in a satellite
20 place and then pretty simple representations
21 of what is driving policy get brought in, it
22 seems like you sort of -- you know, you build

1 some flood walls to prevent uncertainty in one
2 place from swamping you in another place.

3 So I was thinking when I made my
4 first comments about that kind of modularity
5 in addition to, you know, modularity just in
6 terms of technology or fuel price.

7 DR. BLAIR: Andy?

8 MR. KYDES: Just a minor response
9 here.

10 The low carbon fuel standard is
11 going to require the full life cycle analysis
12 that you're talking about with regard to tar
13 sands.

14 For example, and that's one of the
15 items -- that's one of the policies that I
16 think we have to be able to incorporate within
17 the new structure, in fact, we'll probably
18 have to do it before the new structure because
19 I think that there's a legislation that is
20 coming along that we are going to be asked to
21 evaluate.

22 And that legislation is the Waxman

1 Bill, which has that among three other items.
2 And so I agree with you that that's, in fact,
3 one of the capabilities we're going to have to
4 build into the model when we're designing and
5 building it. So I think that's a very good
6 suggestion.

7 MR. TOMAN: So, Andy, on that
8 point, is there a thought to have Argonne redo
9 the GREET model or somebody else redo
10 something like that? A new round of analysis?
11 Some life cycle carbon calculations?

12 MR. KYDES: We may do that. The
13 only reason I'm hedging is because of the fact
14 that you're too early in the process to be
15 able to identify, you know, what needs to be
16 done. But I think if it is a necessary part
17 of what we need to do, then we'll be doing it.

18 MR. TOMAN: Okay. Well, maybe
19 this is a side point to the main discussion
20 and it's just one person's opinion but I think
21 that the GREET results need to be freshened up
22 and tightened up. I think it is important if

1 we're going to go down the road of trying to
2 do the life cycle carbon calcs for the reasons
3 you and Steve mentioned, to take a free look
4 at the measurement of that.

5 I think there's been a lot learned
6 since those calculations were done. And it
7 would be a good time to freshen that up.

8 MR. WEYANT: Actually back to your
9 other point though, which I think is
10 generalizable, is I think that using that and
11 other life cycle cost systems and getting as
12 much as you possibly can out of that in
13 looking at how you might be able to graft
14 those as sources of inputs and destinations
15 for outputs would be a good idea.

16 I guess one think I implied before
17 is you could use the kind of global integrated
18 assessment models as a source of insights
19 about, you know, international trade and land
20 use change and things like that. Again, it's
21 maintaining the ability to deal with
22 complexity but not making it part of the core

1 modeling system if I interpreted that
2 correctly.

3 So that's generalizable. So this
4 specific Greek case, which is, you know, a
5 good start at start at that. I know there are
6 tree or four groups that have tried to do that,
7 none of which I actually think are completely
8 up to date.

9 But then you could actually
10 leverage off them and get them to update their
11 thing and take advantage of that rather than
12 trying to do the whole enchilada.

13 So we're trying to coordinate
14 socioeconomic modeling with the climate models
15 for the next quasi-IPPC round so one issue is
16 land use. Land use submissions, greenhouse
17 gases, mitigation, projections, all that
18 stuff.

19 So I naively thought about 15, 16
20 months ago that one group or the other kind of
21 had this virtually figured out, how do to land
22 use. So we had a meeting. It was actually

1 back here a year ago February. And the
2 conclusion was neither side really knew what
3 the heck they were doing.

4 So fortunately there were a couple
5 of land use experts there and said well, we've
6 been working on this. And we're not really
7 sure. But if we work together for a while, we
8 might be able to come up with some reasonable
9 numbers.

10 So the prescription there for this
11 broad a initiative is just to figure out a few
12 groups you could leverage off of to provide
13 detailed information that might cover some of
14 the complexities that will relieve you of the
15 responsibility of doing all that complexity in
16 one single model.

17 And then, you know, if you really
18 don't like their module at the end, the other
19 alternative, which Mike kind of touched on, is
20 just like you could have a really detailed
21 refinery model and do reduced form kind of
22 vectors or surfaces from that.

1 You explicitly mentioned this at
2 one point. You could actually build your own,
3 you know, complex life cycle cosmos that you
4 like better but that doesn't mean that that
5 has to reside as a, you know, hard-wired
6 module in the model.

7 You could then take -- I guess I'm
8 still in OR -- I hardly can take kind of
9 extreme points in vectors out of that. You
10 know this is part of that.

11 MR. KYDES: This is, in fact, one
12 of the options I think that should or could
13 come out of the technical workshop. In fact,
14 it is one of the options that we considered.

15 The plus side is that you have
16 presumably a very, very good detailed refinery
17 model that has lots of different levels of
18 complexity for the refineries that you can
19 then run through and test out.

20 And then, of course, there are a
21 well-known number of different ways to be able
22 to generate a pseudo model or small model that

1 represents it. The problem is that then you
2 have to maintain essentially the large model
3 and then make sure that the algorithms work.

4 And so then when you get some
5 silliness, you have to then figure out what to
6 do about it.

7 MR. WEYANT: Yes, it's not kind of
8 throwing the information over the fence and
9 forgetting about it. And then if they update
10 it, you want to update it. It would be nice
11 to have somebody else do that. But --

12 MR. KYDES: Right. Well, I agree.
13 I think that is potentially a very good option
14 if we could find somebody who has a very good
15 model that we could use in that regard.

16 I wanted to mention one of the
17 things in the white paper that we will be
18 sending out to this technical group,
19 discussants and authors, we'll have a section
20 that identifies the information required by
21 the rest of the NEMS --

22 MR. WEYANT: So it's just parallel

1 to the current NEMS document?

2 MR. KYDES: To the current, yes.

3 MR. WEYANT: That's great.

4 MR. KYDES: And then it will also
5 identify the information the LFM model
6 requires from other sources, not only from the
7 rest of NEMS but from the IEO component as
8 well --

9 MR. WEYANT: That's great.

10 MR. KYDES: -- the international
11 component. Okay. So I think many of the
12 suggestions you've made, in fact probably all
13 of them with one exception, I think we agree
14 with. At least I personally agree with.

15 MR. WEYANT: Which ones didn't you
16 agree?

17 (Laughter.)

18 MR. KYDES: Forward looking, I
19 agree with how you formed that is really the
20 problem.

21 MR. WEYANT: It was his
22 suggestion. So Don will tell you how to do

1 it.

2 MR. KYDES: And fundamentally, I
3 do believe that every decision that you make
4 that has to do with opportunity, the question
5 is how you formulate that so that it actually
6 simulates it.

7 MR. BROWN: But the only
8 information they have, of course, is from the
9 past.

10 MR. WEYANT: Well, not the
11 procedures. I guess I was hoping there might
12 be a way to do kind of what is done in the
13 electric utility sector. To look at some
14 simple way for people who making these big
15 investments in refineries or bio fuel plants
16 to have some maybe simplistic way of -- yes,
17 I definitely believe a 30-year foresight
18 alone, both the primo and deal path is a
19 little bit -- it's kind of like well, the
20 stock market didn't work last year so --

21 But I think from the business
22 people I know, which is probably less than

1 you're exposed to, that, you know, some kind
2 of, you know, three-, four-, five-year trend
3 extrapolation or, you know, a STEO, somebody
4 who looks at STEO, you know, a few years out
5 into the future.

6 What we're finding on the consumer
7 demand side is most people who make energy
8 efficiency investments either don't look out
9 at all -- you can actually do this by simple
10 questionnaires -- even the auto industry has
11 this thing -- that even the people who do only
12 go about three years. Three, maybe four at
13 the outside.

14 So nobody actually does life cycle
15 costs. Now that suggests a whole different
16 set of policies you might or might not be
17 willing to do. And some complicated Welker
18 economics. That's another question.

19 But just it's something other than
20 using current conditions as future --

21 MR. KYDES: Absolutely.

22 MR. WEYANT: -- like it's done in

1 the electric sector. So I was -- I think Mike
2 responded correctly.

3 MR. KYDES: I have to agree.
4 Myopic expectations are wrong.

5 MR. WEYANT: But which is more
6 unrealistic? Completely myopic or 30-year,
7 50-year foresight?

8 MR. KYDES: I don't know the
9 answer to that.

10 MR. WEYANT: It's a fool's game to
11 actually even ask that question. So I think
12 you get it.

13 MR. KYDES: Yes. I do appreciate
14 the Committee's recommendations. I know many
15 of you and I appreciate meeting you again.

16 DR. BLAIR: And I'd particularly
17 like to thank Mike for his work in
18 coordinating this and giving the response.

19 MR. TOMAN: It was a labor of
20 love.

21 DR. BLAIR: That brings us to
22 Committee suggestions for topics or dates --

1 and/or dates for the fall 2009 meeting.

2 MS. BROWN: I have the dates,
3 potential dates, just to make your job easier
4 here. I looked in my trusty little
5 Blackberry. If we keep it Thursday and
6 Friday, I assume that's probably what people
7 prefer.

8 And we'll still -- unless I hear
9 differently and Ed and I discuss differently -
10 - we'll go with the day-and-a-half format.
11 There's five potential dates. October --
12 first, second, eighth, ninth, 15th, 16th,
13 22nd, 23rd, 29th, and 30th. So there are five
14 dates.

15 I don't know if anybody has any
16 preferences. But those are the five
17 Thursday/Friday dates.

18 (Off-mic comment.)

19 MS. BROWN: I'm sorry. I'm
20 missing this.

21 MR. TOMAN: I was asking John if
22 there was anything we already knew on the

1 calendar due to the climate change
2 negotiations where at least he may be yanked
3 out of the country.

4 MR. WEYANT: It all peaks at the
5 end of the year in Copenhagen. So there's
6 supposedly -- nobody really has anything
7 scheduled.

8 MS. BROWN: So is earlier in
9 October better than later?

10 MR. WEYANT: Probably, yes. I
11 just -- the other thought I had is just to
12 pick some dates and I can probably defend
13 them.

14 MS. BROWN: Well, why don't we go
15 with the first and second? How is that? Want
16 me to get it on your calendar?

17 MR. WEYANT: Yes.

18 MS. BROWN: You know, we'll kick
19 it around here at the EIA to make sure that
20 there's no conflicts here. I haven't looked
21 that up. But let's all tentatively go with
22 the first and the second.

1 MR. TOMAN: The first day of your
2 new fiscal year. And that's okay?

3 MS. BROWN: Yes, there you go.

4 MR. TOMAN: You'll be able to
5 cover travel expenses the first day of the
6 fiscal year.

7 DR. BLAIR: How about topics for
8 the next meeting?

9 MR. BROWN: One topic that I want
10 to raise, and I don't want to discuss it in
11 great detail today, is whether this Committee
12 ought to remain affiliated with the ASA. I
13 actually found Ron's remarks to be out of
14 touch and defensive. And I think they provide
15 a terrible service on travel.

16 And, you know, in keeping us
17 informed even of the dates when I was a new
18 member. And I got much better service on
19 National Academy panels that I've been on.
20 And I don't know what the cost is, ASA versus
21 National Academy panels. But --

22 MS. KIRKENDALL: It's a lot more.

1 MR. BROWN: They're a lot more?

2 MS. KIRKENDALL: Yes.

3 MR. BROWN: Okay.

4 MS. BROWN: Maybe you and I and Ed
5 can talk about what it is that you don't like
6 about it. And we can work through ASA to try
7 to improve what the process is.

8 MR. BROWN: Okay.

9 MR. KOKKELENBERG: Can I join in
10 on this? I think that Steve is right. The
11 support that ASA has -- and years ago the
12 support that they gave this panel was very
13 much at arms' length, which didn't bother me
14 so much. But if it is impeding the work of
15 the panel or making it difficult to do
16 planning, maybe those are issues we can
17 address with ASA.

18 Alternatively, there may be other
19 affiliations that might make more sense. And
20 I think it is a good idea to at least think
21 about this problem.

22 MS. BROWN: I think this is

1 something we have to think about internally at
2 EIA.

3 MR. KOKKELENBERG: Oh, yes.

4 MS. BROWN: And I will bring this
5 up with the other senior management here about
6 your concerns. But it's not a decision --

7 MS. BROWN: No.

8 MS. KIRKENDALL: -- that I think
9 the Committee should be making. This is
10 probably an EIA decision, okay?

11 MS. BROWN: Probably. We offer
12 you some kind of cover with the ASA emblem,
13 right?

14 MS. KIRKENDALL: Yes.

15 MS. BROWN: The seal of approval.
16 And without that, it has to be somebody who is
17 equivalent like the National Academy. And
18 they may not want to touch us.

19 MS. BROWN: That's not what ASA
20 gets to do this.

21 MR. KOKKELENBERG: Pardon?

22 MS. KIRKENDALL: They wouldn't

1 touch it for the amount of money that ASA gets
2 to do this.

3 MR. KOKKELENBERG: Well, that may
4 be a good reason to stay with ASA.

5 MS. KIRKENDALL: Oh, I don't think
6 he was really complaining. I think he was
7 offering alternatives.

8 MR. BROWN: Well, he actually
9 suggested that we stop being affiliated with
10 EIA, which is odd because I mean it is sort of
11 like to me we'd be more affiliated with EIA
12 than ASA.

13 MS. KIRKENDALL: Well, and see
14 it's -- this has always been kind of funny.
15 I was on the ASA Committee on Committees that
16 he talked about at one time. At one time the
17 Board of Directors of ASA actually considered
18 getting rid of this committee until I pointed
19 out that there was a grant that came into ASA
20 that they might like to keep.

21 It's just people -- you know, it's
22 kind of a funny committee from the point of

1 view of ASA. And they're happy to continue
2 it. But we really just don't fit the mold.

3 They've been quite adaptable in
4 many ways. They don't require that everybody
5 be members which is great because most of you
6 aren't members. None of the modelers are
7 probably. I mean --

8 MR. WEYANT: I used to be. I used
9 to be. I'm actually not sure if I am.

10 MR. KOKKELENBERG: Well, that can
11 be readily enforced. Ed can say look, we want
12 to hire Stephanie to be a member of the
13 committee but we'd like you to become a member
14 of the ASA.

15 MS. BROWN: But they didn't
16 require that. But when I solicited new people
17 for the committee, that wasn't the deal
18 breaker. Being a member of the committee is
19 not a deal breaker.

20 MR. WEYANT: Well, it was when I
21 was chair. It was a deal breaker. I just
22 said very strongly you will become a member of

1 ASA. I mean big deal. What's so hard about
2 that?

3 But the point I think that Steve
4 is right. ASA, at least in Ron's remarks,
5 sounded like they were woefully out of touch
6 with this committee.

7 DR. BLAIR: Well, let me try to
8 move into topics.

9 MR. WEYANT: I guess in general it
10 will be interesting because I know there is
11 now a plan at EIA to do this NEM model. So it
12 would be useful. I guess I personally
13 wouldn't want to do things that were totally
14 off that track.

15 But the three big things I see --
16 and this is partly just what I'm concerned
17 about right now and also the new
18 Administration -- would be things like
19 behavior on the demand side, kind of energy
20 efficiency behavior.

21 Or maybe something even more
22 pragmatic like the stimulus stuff. I still

1 think I would rather have the Administration
2 come talk to EIA and a couple of other groups
3 that actually have looked at these sectors,
4 about where to park all that money.

5 I don't know if that's beneath the
6 modeling level or even based on NEMS runs, you
7 could do subsidies and stuff right within the
8 current structure.

9 And the third one with Steve Chu
10 and John Holderman around would be kind of
11 advanced energy technology assessment and
12 things. At least thinking that through.

13 I guess is the -- what's the
14 status of the horizon for the models now?
15 That NEM is going to go out to 2030 or any --
16 if you're going to do climate stuff, you
17 probably have to have 2050 even for the
18 current bill?

19 (Off-mic comment.)

20 MR. WEYANT: For the AEO? But if
21 you were asked to do a McCain Lieberman Boxer
22 make up your names, do they let you just use

1 the current version of NEMS? Or do they try
2 to get you to extend it out?

3 These are just ideas but those are
4 the three that I like.

5 MS. BROWN: John --

6 MR. CONTI: Well, I'll try and
7 address some of John's questions.

8 MS. BROWN: Just speak loud.

9 MR. CONTI: First of all, as you
10 know, as part of the EMF, when it comes to all
11 of the modelers around in terms of the end-use
12 models, we typically have more information
13 than anybody else. So we're not going to get
14 a lot of insight from anybody in terms of how
15 subsidies or legislation is done.

16 MR. WEYANT: No, but I was talking
17 about you guys providing insights to the
18 people putting together the stimulus money.

19 MR. CONTI: And we do.

20 MR. WEYANT: You do?

21 MR. CONTI: And we do, and we do.
22 One way or another, we do.

1 And when it comes to how stimulus
2 money is spent at least within the Department,
3 we're pretty much in touch with that. A lot
4 of times, it is very hard to connect the
5 expenditures with how they actually will
6 effect reductions in energy use. And I'm sure
7 -- you know, that's a constant struggle.

8 I'd like to have some distinction
9 between the National Energy Model and our
10 current National Energy Modeling System. We
11 are certainly updating a number of our modules
12 in the current system. And we might assume
13 them lock, stock, and barrel in a new National
14 Energy Model.

15 But what we have today is not what
16 is going to be a National Energy Model. We
17 are definitely rethinking the whole structure.

18 MR. WEYANT: Is there one after
19 the liquid fuels that is next in the queue so
20 far? Or is that still in debate?

21 MR. CONTI: Well, I guess the
22 first one in the queue is the OLOGS model.

1 And we're starting to implement that now for
2 the upcoming AEO.

3 And then there's the liquid fuels
4 module. And we really haven't gotten past
5 that because we have to deal with a lot of --
6 first of all, in spite of thinking we had the
7 money, we never really had the money -- we
8 didn't start receiving some of these funds up
9 until a week ago. We actually don't even have
10 it yet. They said that we had but we really
11 still don't have it.

12 MS. BROWN: We really haven't see
13 it.

14 MR. CONTI: They said yes, you
15 have the money but it's not really in your
16 accounts yet. So we really don't have the
17 money.

18 And then we've run into some
19 procurement issues as to what we could do with
20 this money. And I'm sure you guys -- a lot of
21 you are familiar with how to try and do
22 contracts within the federal government.

1 But I do foresee us doing a new
2 National Energy Model. And Howard keeps on
3 mentioning it even though we never really have
4 the personnel that are devoted to doing it,
5 which I think is absolutely required.

6 And you might be able to help us
7 sort of at a very high level saying, okay, if
8 you're going to do a new National Energy
9 Model, at the module level, I'm very
10 comfortable that we have a lot of experts that
11 know how to model individual sectors very
12 well.

13 I think maybe what we don't have
14 is some of that insight at the very highest
15 level of putting together this as a system.
16 And start thinking of it from even maybe from
17 different computer-type of platforms or
18 computer-type of systems that might, you know,
19 make it easier to maintain and to use because
20 that's what -- our current system is
21 ultimately flexible. But you pay a big price
22 for that.

1 You know it's not particularly
2 easy to use. But we can do just about
3 anything that anyone asks us to do with it,
4 given enough time.

5 MR. WEYANT: Well, again, is that
6 a possible -- maybe it takes three months to
7 decide this -- a possible agenda item? Where
8 you guys could say here's what we're thinking.
9 What do you think? Is that too early? Too
10 late? Just, you know --

11 MR. CONTI: No, I don't think it
12 is too late to start thinking about it. I
13 think we really do -- and we do need to start
14 at the high level and figure out, you know,
15 where they might connect.

16 Yes, Mike?

17 MR. TOMAN: Well, John, I hear
18 your points clearly enough. I'm still not
19 clear though on one, which is John Weyant's
20 suggestion that since I understand, I just
21 found this out at the break, that you'll be
22 doing another round on AEO sort of to look at

1 the stimulus packages as they go through?

2 MR. CONTI: We will not be doing
3 another round of the AEO. We will, as a part
4 of any service request that is forthcoming, we
5 will update our reference case assumptions.

6 MR. TOMAN: Okay.

7 MR. CONTI: And they will include
8 a representation of the stimulus package.

9 MR. TOMAN: I thought you already
10 had a service request in hand that was going
11 to be asking you to do another round of
12 outputs.

13 MR. CONTI: We do have one -- yes,
14 we do have one in hand.

15 MR. TOMAN: Okay.

16 MR. CONTI: But we're not -- I'd
17 like to differentiate between a full AEO --

18 MR. TOMAN: No, I agree. I was --

19 MR. CONTI: Yes, we'll update the
20 reference case. And we'll update a number of
21 parameters.

22 MR. TOMAN: Okay.

1 MR. CONTI: We're not going to
2 update all of the parameters we do annually
3 because first of all, a lot of that data is
4 not even available.

5 MR. TOMAN: Since at least for a
6 long time it seems, we've talked about the way
7 that different macro level influences effect
8 energy and how energy effects macro level
9 issues, and you're going to be doing this
10 service report. Does it makes sense?

11 I would say I agree with John
12 Weyant. I would like to see something about
13 the energy economy, public expenditure linkage
14 be on the agenda in the fall.

15 I'd like to hear more about what
16 you were having to do with the service report,
17 compliance, and what issues that raised. And
18 is there anything the Committee can do to be,
19 you know, helpful in exploring things that are
20 tough or endorsing what you're doing. Is that
21 totally off map for you?

22 MR. CONTI: No, we sort of touched

1 on this the other day. There was another
2 comment that came up yesterday morning. And
3 looking at -- or maybe it was at lunch -- in
4 terms of the interaction with the economy,
5 most of you know we use the -- now the IHS
6 Global Insight model. First it was DRI, then
7 it was WEFA DRI. Then it was Global Insight.
8 And now it is IHS Global. IHS, I think, is
9 beginning to own most of the energy consulting
10 industry in the United States.

11 And so that's the model we use.
12 So in terms of how -- what are the
13 interactions between the energy and the macro,
14 it is the interactions between NEMS and the
15 Global Insight model.

16 Now we can certainly look at that
17 a bit. I don't think we have alternatives to
18 that connection in any type of a near-term
19 framework. Maybe, you know, if you want to
20 start looking at it today to see what you
21 might be able to do in a NEMS development
22 setting --

1 MR. TOMAN: I think given the
2 current debate, I mentioned that. But I'd
3 actually be more interested in the other
4 direction. We have some share of the 800
5 billion that's going into energy-related
6 activities. I know you know how much that is
7 and how it will be spent.

8 MR. CONTI: Right.

9 MR. TOMAN: But what effect it has
10 on the larger economy does seem to be very
11 interesting as well as estimates that are made
12 from it about, you know, how this will change
13 long run as well as short run carbon
14 trajectories.

15 MR. CONTI: Right.

16 MR. WEYANT: Just how you do it
17 would be an interesting starting point.

18 MR. CONTI: Well, you know, in
19 that case --

20 MR. WEYANT: It's going to be
21 better than anything else.

22 MR. CONTI: -- in that case -- but

1 I think most of that is done internally to the
2 Global Insight model. We certainly have the
3 energy component of how that effects the
4 energy sector. But in terms of how it effects
5 the whole U.S. sector, I don't think EIA is an
6 expert in how --

7 MR. WEYANT: Would it be totally
8 out of bounds to ask them to come talk to this
9 group?

10 MS. FORSYTH: We talked about
11 this. Didn't Stephanie talk about it
12 yesterday as bringing in outside speakers?

13 MR. WEYANT: Could that be done?

14 MR. CONTI: We could explore that,
15 I think.

16 DR. BLAIR: We can certainly take
17 it as a suggestion for a topic.

18 MS. BROWN: Why don't John and I
19 work together over the next, you know, couple
20 of weeks to see what we can do. I think
21 you've got a sense of what it is they'd like
22 to see. Who would do it is -- you know,

1 bringing in someone from outside -- this is
2 the forum to bring in people from outside. So
3 that's fine if we can do it.

4 MR. CONTI: We can discuss it.

5 MS. BROWN: Okay.

6 DR. BLAIR: Any other suggested
7 topics?

8 MR. KOKKELENBERG: Yes, something
9 I've mentioned in different ways. The
10 policies are changing and they're changing
11 fairly rapidly. And the economics last year
12 was a really shocking set of changes in prices
13 among other things.

14 The ability of the agency to move
15 rapidly and address questions like the
16 Senators provided and like the ones that Mike
17 and John were just talking about is well,
18 okay, how are things going to interact, is an
19 issue that is bothering me.

20 How -- could the department
21 consider -- could the agency consider how --
22 what are the bottlenecks of making it fleet of

1 foot to be responsive and adjust things? I
2 mean the stimulus is known, to some extent.
3 And the AEO that was just published is totally
4 out of date. Well, that happens.

5 How fast does it take them to
6 respond? And is there ways to make that
7 response faster? To make the agency more
8 relevant to the people who are asking it
9 questions, whether they be Congress or the
10 public?

11 That would be a topic -- I would
12 have no way --

13 MS. KIRKENDALL: Are you talking
14 about the forecasting piece or the data piece?

15 MR. KOKKELENBERG: Either -- both
16 -- I don't care.

17 MS. KIRKENDALL: I think the data
18 piece actually keeps up pretty well.

19 MR. KOKKELENBERG: All right.
20 Then the forecasting piece or the implications
21 piece. The data piece might keep up well but
22 the first session I came to, years ago you

1 were presenting how we were trying to make the
2 data au currant by essentially using time
3 series analysis of past data because we had no
4 idea what was happening right now.

5 MS. KIRKENDALL: They do use that
6 for some imputations. But they also have real
7 survey data that come in at that same time.

8 MR. KOKKELENBERG: No, I
9 understand that. I'm saying maybe this is a
10 topic for next session, okay.

11 Then I have one other one that is
12 interrelated again to John and Mike. If there
13 is going to be pressure on carbon issues,
14 there's going to be questions about nuclear.
15 And I don't think the Committee has looked at
16 nuclear for some times.

17 Years ago, there was a question
18 about capacity utilization rates in nuclear
19 power plants. And there were studies that the
20 Committee did or ancillary groups did about --

21 MR. WEYANT: Life extensions.

22 MR. KOKKELENBERG: Yes, life

1 extensions. And is there a statistical or
2 modeling issue there that the Committee might
3 be useful to the agency on? Maybe next time,
4 maybe a year from now? That's the issue
5 there.

6 MS. BROWN: Okay.

7 DR. BLAIR: Barb?

8 MS. FORSYTH: I heard in a lot of
9 different talks this time questions about
10 assessing uncertainty. And I'm wondering if
11 there is an interest in either talking about
12 standard approaches that EIA uses to assess
13 uncertainty or to present uncertainty
14 information to users.

15 And I'm also wondering whether
16 there's a need to educate users about
17 uncertainties. So kind of a -- I don't know
18 if there is a general interest in that. But
19 it sounds like there are very different
20 estimation contexts.

21 And the specifics of the
22 approaches could be very different. But maybe

1 there is a framework.

2 MR. BROWN: One thing that I think
3 would be helpful both to the EIA and the
4 Committee would be to have sort of a plan on
5 presenting one part of the STEO every time.
6 And give us a chance to look at, you know, and
7 actually kind of have a list of where we're
8 headed in terms of the STEO.

9 Because I know in some cases, some
10 of the STEO stuff is legacy rather than, you
11 know, being pretty current. Some of it is
12 pretty current. And it would be good to know
13 kind of where the STEO stands and what pieces,
14 you know, might need a little bit more work,
15 et cetera.

16 MS. BROWN: One from me? Just in
17 line with one of the things that Ron had
18 mentioned and we talked about yesterday.

19 If you have work that you are
20 doing related to the work that we do, and some
21 of you think that's a stretch because you are
22 sampler or in industry or whatever, but I

1 think if you really think about it, there
2 probably are things that you have that are
3 relevant to what we do.

4 And if you want to talk to us
5 about what it is that you're doing, that would
6 be very valuable to us.

7 And I think, John, you mentioned
8 that you have a graduate student working on
9 something with NEMS?

10 MR. WEYANT: I have a bunch of
11 them.

12 MS. BROWN: A bunch of them. I
13 mean if you wanted to maybe bring them in or
14 one of them in to summarize to us what they're
15 doing, I think the NEMS groups might be
16 interested in seeing what graduate students
17 are working on. That's always a fresh
18 approach.

19 MR. WEYANT: Sure.

20 MS. BROWN: So I want each of you,
21 if you wouldn't mind, to be thinking about
22 that. If you are working on something, please

1 contact either Ed or myself and let us know
2 what it is so we can get it on the agenda.

3 DR. BLAIR: Nancy?

4 MS. KIRKENDALL: Steve Harvey
5 talked about the two new initiatives to
6 evaluate the Petroleum Statistics Report and
7 the Natural Gas Monthly. And I think that a
8 number of us on the Committee will be real
9 interested in that.

10 MS. BROWN: Actually there will be
11 follow ups on a couple of the items. That's
12 one of them. And Steve had mentioned in his
13 presentation that he'll be doing more in the
14 fall.

15 I would guess that the liquid
16 fuels, you might be doing an update on what
17 you find from your workshop? I don't know.
18 We'll have to talk about it.

19 But I think there are some natural
20 add ons. And the other thing that I hope that
21 we'll implement is -- I don't remember -- it
22 was either Izzy or Vince that suggested the

1 spreadsheet that talks about what the
2 recommendations are from the Committee so we
3 can follow up on what we've done.

4 MR. WEYANT: And the other one
5 like that was the Coal Group -- I think
6 Phillip and others said that they might -- I
7 don't know if it's next time or the time
8 after, just that one way to think about it is
9 it was mostly focused on supply and not on
10 transportation.

11 So if there is new work on
12 transportation bottlenecks, that could be a
13 good one.

14 MS. BROWN: I'm sure Phillip and
15 Jason will be interested in talking more about
16 where they're going with their work. That
17 will be good.

18 MR. TSENG: Yes, actually for the
19 coal, we do have a very rich dataset. We have
20 the distribution information as well for each
21 year. So we'll be looking into the
22 transportation part.

1 And we probably can provide kind
2 of maybe two papers. One is addressing some
3 of the issues we presented this time and we
4 got feedback. And the other part is if we
5 have the transportation information, who do we
6 present it in a modeling framework so we can
7 actually simulate effect of different
8 transportation bottlenecks on coal production
9 and consumption.

10 I have one more comment, kind of
11 going back to Mike's comment about the
12 stimulus package. It is related to, I think
13 it's energy technology assessment because I
14 know for sure the energy efficiency in the
15 Renewable Energy Office, the Biomass Program
16 receive 800 million dollars additional money
17 besides their regular budget.

18 And so the question will be what's
19 the new tact on technical progress. And
20 that's going to be a very challenging issue.
21 But if it accelerates the technology,
22 development, and the penetration, I think in

1 a modeling framework, that's almost like
2 another challenge for EIA.

3 MR. TOMAN: Phil?

4 MR. TSENG: Yes?

5 MR. TOMAN: When you do the AEO,
6 you have --

7 MR. TSENG: No, I don't do that
8 AEO.

9 MR. TOMAN: -- no when the agency
10 does the AEO, it has -- I forget what it is
11 called -- the high technology, the more rapid
12 technical advance scenarios, things of that
13 type -- would it be possible in that set up
14 since, you know, not in my lifetime are we
15 ever going to have a good equation that
16 relates expenditures to research outcomes --
17 can you essentially study the question you
18 just posed by, you know, what if it
19 accelerates, you know, this much, is it
20 possible to get definition of a few key
21 scenarios that would allow that kind, you
22 know, of exploration? And it's still going to

1 be a judgment call ultimately for the decision
2 makers.

3 MR. TSENG: I'm not in a position
4 to answer that.

5 MS. BROWN: But John --

6 MR. CONTI: I think I want to
7 answer it definitely in the sense that the
8 GPRA analysis or the analysis that the
9 specific programs do should do exactly that.
10 I was in a meeting yesterday -

11 MR. TOMAN: That's true.

12 MR. CONTI: -- where we were
13 talking about how we are going to evaluate
14 this because they're going to get, like he
15 says, you know, a few hundred million there,
16 a couple of billion here.

17 And they have to figure out how
18 that will increase, you know, the
19 effectiveness of their programs. And so I
20 don't want EIA to really do it. If they had -
21 - if they come out with a report that says as
22 a result of this, it is going to advance, you

1 know, the technology two years. Then we could
2 clearly run a scenario that does that.

3 We might include it in our op tech
4 co-authorization.

5 MR. TOMAN: Right. No, that's not
6 inconsistent, John, with what I was saying.

7 MR. CONTI: Yes.

8 MR. TOMAN: It's not that you
9 would have to take ownership of the two years,
10 five years, whatever. But you work with the
11 relevant lab and others to, you know, have
12 them tell you well, we think it could be this
13 or this. And then you could look at each set
14 of consequences.

15 MR. CONTI: And I think we do try
16 and do that. The problem is we get into the
17 number of technologies modeled in NEMS. And
18 so we package them all up and we put them into
19 one scenario.

20 What you're suggesting is you want
21 to look at them sort of one-off. I don't
22 think we have --

1 MR. TOMAN: At least a few.

2 MR. CONTI: Who gets to determine
3 which --

4 MR. TOMAN: Mr. Chu, Mr.
5 Secretary.

6 DR. BLAIR: Any other suggested
7 topics?

8 (No response.)

9 DR. BLAIR: We'll invite public
10 comment at this time. Would anybody from the
11 public care to make a comment?

12 MR. CONTI: I'll reiterate one
13 thing I said yesterday. Three-quarters of our
14 budget or more is spent on the data programs.
15 And we spend a lot of time in these meetings
16 talking about the analysis and modeling.

17 DR. BLAIR: Any other comments?

18 (No response.)

19 DR. BLAIR: We stand adjourned.
20 Thank you.

21 (Whereupon, the above-entitled
22 meeting was concluded at 12:26 p.m.)

A				
ability 98:17 121:13,14 122:21 127:12 128:22 130:9,17 131:5 133:20 147:18 150:21 178:14	65:19 adaptable 165:3 add 61:19 89:13 97:2 136:8 184:20 added 104:6 addition 11:2 23:9 30:10 148:5 additional 4:8,18 104:9 122:7 186:16 address 7:15 102:3 103:16 111:6 112:13,16 118:11 162:17 168:7 178:15 addressed 102:6 108:15 111:5 129:6 addresses 106:21 addressing 186:2 adds 53:14 adequately 32:7 Adjourn 4:22 adjourned 190:19 adjust 85:22 179:1 adjusted 79:18,18 83:5 85:21 adjustment 78:19 123:19 Administration 1:5 131:9 166:18 167:1 Administrator 2:14 Administrators 66:15 adopted 109:1 adoption 114:18 ADRIAN 2:12 advance 187:12 188:22 advanced 102:17 167:11 advantage 130:9 151:11 advice 88:18 advising 87:13	AEO 167:20 170:2 172:22 173:3,17 179:3 187:5,8,10 AEO2012 108:20 affiliated 19:16 161:12 164:9,11 affiliations 162:19 affirmatively 92:5 afield 51:16 ag 141:5 agencies 68:12,13 71:15 78:2 agency 43:1 44:9 61:12 64:14 65:13 65:21 68:9 71:14 82:2 178:14,21 179:7 181:3 187:9 agenda 172:7 174:14 184:2 agent 142:3 aggregate 117:19 aggregation 99:18 ago 39:16 45:9 50:11 55:14 65:7 66:17 67:10 97:20 119:21 151:20 152:1 162:11 170:9 179:22 180:17 agree 14:22 81:20 122:20 125:1 149:2 154:12 155:13,14,16,19 158:3 173:18 174:11 agreed-upon 14:22 Agricultural 69:19 ah 84:5 88:12 ahead 14:5 23:16 25:3 60:14 95:5 105:16 aiming 123:10 air 131:10 134:19 141:16 142:7,10 Alberta 143:6 ALETHEA 2:17 Alex 3:20 5:17,22	6:15 algorithms 154:3 allow 187:21 allows 23:4 26:9 52:22 97:13 alternate 2:13 112:4 131:17 133:3,6 alternative 121:17 152:19 Alternatively 162:18 alternatives 122:1 164:7 175:17 amendment 141:17 American 1:1 142:9 amount 141:21 164:1 analogy 79:4 analyses 121:14,15 analysis 2:6 4:14 5:16 8:5 11:20 64:19 68:16 100:7 109:16,17,19 111:19 117:18 125:16 127:10 146:12,20 148:11 149:10 180:3 188:8,8 190:16 analyst 98:10 99:1 analysts 10:2 analyze 98:17 112:20 ancillary 180:20 Andy 2:21 4:14 95:7 119:10 120:16 121:11 138:17 143:11 146:8 148:7 149:7 and/or 32:6 159:1 anecdotes 74:6 annex 127:17 annual 123:16 annually 174:2 anomalies 71:8 answer 32:8 39:13	49:7,22 50:1 76:1 84:17 104:2 121:2 138:9 145:3 158:9 188:4,7 answered 102:7,9 145:4 answers 36:18,19 44:19 ANTHONY 3:10 anybody 5:5 41:10 146:5 159:15 168:13,14 190:10 anyway 28:12,15 144:6 145:17 apart 98:2 apparently 28:10 84:6 145:8 appear 75:10 applaud 125:3 application 124:6,7 129:17 131:22 applications 129:8 129:22 137:22 applied 21:12 applies 64:12 apply 8:9 75:6 appreciate 33:11 44:19 60:21 146:13 158:13,15 approach 26:8 27:3 34:11 67:16 109:2 138:7,8 147:4 183:18 approaches 121:6 121:8 134:2,13 181:12,22 appropriate 27:10 29:3,4 35:9 79:2 102:19 approval 163:15 approximate 96:8 approximately 61:17,21 approximates 63:16 April 1:8 25:8,12 25:20

ARCA 110:10	associated 127:14	25:6 28:6 35:22	basics 14:7	114:14 117:13
architecture 122:5	Association 1:1	42:2 51:8 53:1	basis 13:22	129:3,9,20,20
140:11	142:9	62:13 63:17 69:4	basket 86:10	133:20 134:2
area 12:14 54:3	assume 17:18	69:7 74:8 77:9	BEA 69:1	140:14,16 141:18
61:15 73:6 106:1	58:17 59:2 135:9	79:9 80:22 81:3	beginning 93:14	142:15 145:21
106:14 124:22	159:6 169:12	130:2,19 136:6	175:9	156:15
125:2 129:4 134:6	assumed 20:14	139:16 150:8	behavior 15:22	biofuels 141:19
areas 109:10	assuming 51:1	152:1 186:11	59:4 112:11	biomass 99:17
145:11	assumption 9:15	backdrop 59:6	117:11 119:9	186:15
Argonne 149:8	17:7,21 20:17	background 47:6	121:22 122:22	bit 10:19 20:3
arguing 139:18	117:17	63:11,13	123:20 135:12,12	23:22 48:12 54:21
argument 56:14	assumptions 20:4	backtrack 111:9	166:19,20	55:2 85:13 130:5
arising 147:1	43:18 54:6 173:5	backwards 132:2	believe 92:3 98:12	135:20 140:13
arms 162:13	attention 64:15	bad 43:10 44:14	156:3,17	144:13 156:19
arose 77:16	72:18	111:8	believes 69:1	175:17 182:14
artist 35:11	attributes 128:8	balance 53:11	bell-shaped 34:22	Black 16:7,12
ASA 1:1 4:2,6,7,11	attribution 114:22	balancing 67:20	beneath 167:5	43:14,15 55:2
4:17,22,22 115:7	115:3	band 51:10 56:1	benefit 23:4,12	Blackberry 159:5
161:12,20 162:6	at-the-money	bands 26:17 30:13	26:8	Black-Scholes 12:7
162:11,17 163:12	18:19	30:14,16 40:13,16	benefits 12:9 75:4	18:22 28:19 43:22
163:19 164:1,4,12	au 180:2	47:10,11 52:3	113:7,8 126:21	44:3,6 54:5 58:5
164:15,17,19	audience 5:5 6:16	57:14	127:1	Blair 1:11,14 4:2
165:1,14 166:1,4	32:11 36:1,4 38:9	Bank 11:21 13:1	BERRY 2:4	4:22 5:3 6:1,5
asked 75:17 82:9	38:21 50:15,18,20	19:8 41:10 42:9	best 8:9 27:15	27:22 36:11 45:1
97:19 121:3 124:1	51:2 61:3,11	42:11,14	38:22 54:18 62:11	53:18 58:12 59:9
137:16 138:5	146:6	bar 123:9 142:9	102:5	60:6,14,20 61:2,6
139:13 148:20	augmented 143:11	Barb 53:21 59:9	better 7:20 27:17	79:10 81:12 83:1
167:21	authors 154:19	181:7	35:13 44:17 79:5	83:7,11,15,20
asking 27:2 44:16	auto 157:10	BARBARA 1:15	139:12 142:11	84:2,12,15 85:3
49:6,17 51:3	auto-regressive	2:22	153:4 160:9	89:12 90:5 94:12
54:12 66:22 88:2	51:18 52:1	barrel 30:1,2 66:5	161:18 176:21	94:20 95:1,5
91:9,13 133:18	availability 107:6	169:13	beyond 41:16	119:5 120:8 146:2
159:21 173:11	116:11 130:11	barrels 143:8	big 19:14 46:18	146:5 148:7
179:8	134:3	base 31:2 87:3,3	47:17 57:18 89:5	158:16,21 161:7
asks 172:3	available 122:8	based 7:9 12:13	99:2 117:13	166:7 177:16
aspect 99:20	174:4	13:8 18:22 25:8	141:19 142:16	178:6 181:7 184:3
aspects 103:5 106:4	Avenue 1:10	25:18 27:8 30:22	143:1 156:14	190:6,9,17,19
145:15	avoid 36:8	41:1 58:8,10	166:1,15 171:21	BLS 69:16
assess 59:18 181:12	award 66:16,19	123:2 167:6	bill 17:9 149:1	blue 25:7,12
assessing 181:10	aware 6:19 39:19	basic 14:9,11 16:14	167:18	Blumberg 2:4 5:20
assessment 98:17	117:11	55:2 85:5	billion 176:5	5:20 20:2
109:15 138:8	awry 82:16	basically 31:8 44:7	188:16	blurry 70:21
150:18 167:11	A-G-E-N-D-A 4:1	67:20 91:22 96:3	billions 44:12	Board 96:1 101:5
186:13	a.m 1:9 5:2 95:3,4	97:12 101:19	80:18	105:13 117:4
assessments 109:11		106:6 107:4	bin 3:22 55:15	164:17
asset 8:22 14:14,18	B	108:15 127:22	bio 112:5,6 114:9	boat 31:22
15:2,11,14 16:22	back 16:7,13 24:10	130:20	114:11,12,13,13	BOB 2:20

borrow 53:19 79:4	46:1,12,15 47:7	19:13	cars 139:10,13	125:14 130:10
bother 162:13	48:3 49:1,13,16	calculated 25:6	case 10:12,22 15:1	178:12
bothering 178:19	49:21 50:8,19	calculates 37:20	22:11 45:1 50:1	changing 44:7
bottle 76:2,11,12	51:1,7,12 53:4	calculating 19:19	51:8 87:8,9 94:20	110:8 130:12
bottlenecks 113:19	61:1 84:7 89:13	27:6	100:1 107:16	132:21 133:1
178:22 185:12	90:17 91:8,17,21	calculations 149:11	121:16 151:4	178:10,10
186:8	93:9 115:12,22	150:6	173:5,20 176:19	characteristic
bounce 31:13 40:16	116:7,12 119:20	calendar 160:1,16	176:22	107:9
40:17	136:10 144:9	calibrated 56:17	cases 128:6 182:9	characterize 7:19
bound 24:18 32:15	156:7 159:2,19	call 5:4 14:12 15:1	catch 54:1 119:14	chart 23:4 41:21
32:16	160:8,14,18 161:3	17:12 66:22 69:6	categories 70:19,20	46:17,21 49:4,11
bounds 177:8	161:9 162:1,3,4,8	86:5 95:16 188:1	109:6 131:15	49:14 50:2 85:17
Bournazian 2:5	162:22 163:4,7,11	called 18:19 37:15	139:20 143:5	charts 10:4 27:14
4:10 61:8,9 79:8	163:15,19 164:8	50:12 56:17 74:8	category 121:3	32:6 46:10 72:22
81:7,21 83:6,10	165:15 168:5,8	74:10 118:18	132:5	checks 100:20
83:14,19 84:1,13	170:12 177:18	134:21 187:11	caveats 93:14	cherish 39:16
84:20 85:1 86:12	178:5 181:6 182:2	Canada 77:20	Census 70:1	China 133:14
86:18,21 87:5,7	182:16 183:12,20	144:13	central 103:22	choose 76:18 78:13
88:9,14 89:2,7	184:10 185:14	cap 98:18	certain 8:22 12:15	chose 79:1
90:9,18 91:4,13	188:5	capabilities 97:3	13:5,6 16:19	Chu 167:9 190:4
91:19,22 92:9,13	BTU 145:20	149:3	73:15 118:21	cited 8:4
92:18 94:11,15,22	buckets 109:8	capacity 42:19	135:6	cities 71:18
BOWERS 2:5	budget 186:17	110:5 180:18	certainly 29:4 82:4	citing 142:14
Boxer 167:21	190:14	captive 135:7	102:16 122:20	clarification 8:14
boy 140:2,18	build 57:5 100:6	capture 122:21	126:18 127:5	clarify 91:9
bread 64:15	102:22 107:10	133:11 140:18	131:11 134:10	clarifying 81:13
break 95:1 172:21	120:22 122:7,13	cap-and-trade	145:22 169:11	83:2
breaker 165:18,19	122:15 147:22	111:20 131:14	175:16 177:2,16	class 79:20
165:21	149:4 153:2	carbon 55:11 98:18	certainty 55:11	clean 141:16 142:7
BRENDA 2:8	building 1:10 37:17	98:19 109:20	cetera 57:12	142:9,22
bricks 72:21	38:17 103:2,6	111:20 112:22	182:15	clear 64:18 80:5
brief 95:13	131:13 149:5	113:12 134:11	chair 1:11,14 4:2	97:5 172:19
briefly 130:2	built 77:13	140:17 142:3	4:22 79:8 165:21	cleared 62:8,9
brighter 38:4	bunch 97:10	144:11,18,19,22	Chairman 82:21	clearly 80:13
bring 8:15 163:4	140:20 183:10,12	145:12,19 146:1	challenge 187:2	123:22 172:18
178:2 183:13	Bureau 68:16	148:10 149:11	challenging 186:20	189:2
bringing 67:20	69:12 70:1 71:15	150:2 176:13	chance 144:5 182:6	click 70:16,22
177:12 178:1	BURNS 2:6	180:13	change 9:3 43:2	73:18,19,21 85:15
brings 158:21	business 65:16	cards 142:22	64:7,8 74:2 99:9	clicked 56:11
British 42:15	68:15 71:9 75:9	care 37:4 38:1 90:8	110:14 131:11	clicks 71:5
broad 94:16 152:11	156:21	99:14,15 179:16	150:20 160:1	climate 151:14
broadly 137:19	buy 14:14,15 56:14	190:11	176:12	160:1 167:16
broke 113:16	57:22 128:13	career 78:17	changed 21:10	climbed 74:15
brought 132:10		careful 141:20	30:12 44:8 58:22	close 24:18 105:4
147:21	C	caricature 125:19	65:9 66:12 67:8	closer 11:8,8,17
Brown 1:14 2:2	calcs 150:2	Carol 2:4,11 5:20	67:16 68:22 74:9	closest 18:11,20
5:11 6:3 45:4	calculate 18:2	20:1	changes 8:21,22	CME 19:15

CNEAF 2:13,14,17 2:19 3:10,14	commented 82:4	compete 97:14	concerns 163:6	102:18 178:21,21
coal 2:13 61:20 72:9 99:16 185:5 185:19 186:8	comments 4:21 8:16 28:18 36:17 36:22 45:2,5 54:2 60:8,22 79:12 81:11 89:12 94:12 94:17 107:22 119:13,18 120:5 121:11 123:12 126:14 134:8 136:13,15 144:10 146:2,13 148:4 190:17	competition 109:15 110:1 112:9 114:4 114:9 127:16 128:3,4,7 129:20	concluded 190:22	consideration 63:5
coalesced 105:10 110:20	committee 1:4,13 4:2,8,12,18,19,22 8:9 27:2,21 39:15 45:6 61:10 74:13 75:18 81:9 82:7 87:12 92:4 106:13 138:17 158:22 161:11 163:9 164:15,18,22 165:13,17,18 166:6 174:18 180:15,20 181:2 182:4 184:8 185:2	complaining 164:6	conclusion 152:2	considered 22:20 91:1 100:12 131:1 153:14 164:17
coarse 124:12	Committees 164:15	complete 107:2,21 127:9	conditions 62:12 123:4 125:11 157:20	considering 38:16 123:9 135:18
coarsen 124:13	Committee's 158:14	completely 80:17 117:4 142:21 151:7 158:6	Conference 88:20 90:2	consistency 88:1,6
Coca-Cola 82:14	common 75:8 86:6	completion 104:18	confidence 11:3,9 13:9,16,21 14:1 19:5,19 20:4,7,14 20:21 21:6 23:10 24:3,15,16,19 26:10,12 27:7,13 29:14,20 32:6,13 33:1,5,9 34:1,3,10 40:13 41:1 47:9 47:11 51:9 52:3 58:10 99:7	consistent 36:20 74:3 79:15 80:10 97:13
coffee 41:22	communicate 32:12	complex 10:19 11:22 31:19 51:19 98:17 102:10,12 147:2 153:3	Confusion 76:21 77:4	consolidation 143:19
COHEN 90:3	communicated 36:19	complexities 152:14	confident 29:15 32:16,17	constant 41:6 59:7 79:21 88:8 93:12 169:7
coincided 22:9	communication 34:15 101:10	complexity 150:22 152:15 153:18	confirm 75:4	constrained 134:9
Coke 75:19,22 76:7 76:9,10,11,17 79:6	community 142:5	compliance 174:17	conflict 147:3	constraints 112:21 142:15
COLE 2:6	company 36:13	complicated 16:9 157:17	conflicts 160:20	construct 11:4 129:9
collapses 40:7	comparative 130:8	compliment 36:13	confront 141:10	constructed 52:4
collect 56:15,22	compare 21:9 23:5 27:10 30:11 46:22	component 97:6 107:4 116:5 155:7 155:11 177:3	confused 33:8 75:22 76:9 77:5 93:22 95:17	consulting 175:9
collected 19:14	compared 25:19,21 23:6	components 122:4	confusing 79:13 80:4	consumer 86:1 123:14 127:8 157:6
color 51:13	comparing 24:22	composed 101:5	confusion 76:21 77:4	Consumers 86:2
comb 41:9	comparison 26:2 92:1	composite 86:10	Congress 44:16 45:9 57:12 145:8 179:9	consumption 3:5 36:7 129:2 144:22 186:9
combination 27:19		composition 132:21	confront 141:10	contact 184:1
combine 13:12		comprehensive 70:20 136:11	confused 33:8 75:22 76:9 77:5 93:22 95:17	content 112:22 113:1,1,2 128:2 144:11,19 145:19 145:20
combining 107:15		compress 130:3	connect 169:4 172:15	contents 99:3
come 5:7 39:8,21 69:4,7 77:12 89:21 106:20 122:2 130:2 139:16 147:3 152:8 153:13 167:2 177:8 180:7 188:21		compressed 128:13	connected 5:12	context 48:6 63:22 80:5 146:19
comes 56:10 146:16 168:10 169:1		computations 138:2	connection 175:18	contexts 181:20
comfortable 48:13 171:10		computer 57:18	consensus 52:12 89:17	CONTI 2:8 168:6,9 168:19,21 169:21 170:14 172:11 173:2,7,13,16,19 174:1,22 176:8,15 176:18,22 177:14 178:4 188:6,12 189:7,15 190:2,12
coming 72:3 142:12 148:20		computer-type 171:17,18	consequence 124:14	
comment 58:13 60:12,16 61:3 82:22 86:21 89:14 121:3 145:7 146:6 159:18 167:19 175:2 186:10,11 190:10,11		computing 42:19	consequences 130:1 189:14	
		concept 56:17 72:1	conservation 134:4	
		conception 58:1	consider 31:4	
		concern 135:11		
		concerned 39:10 166:16		

continually 113:5	cosmos 153:3	credits 132:15	customized 12:21	day-and-a-half
continue 42:4	cost 58:18 113:10	critical 96:16 97:1	cut 109:3	159:10
133:18 138:12	125:21 127:6	107:5	Cutler's 120:4	day-to 9:2
165:1	129:2 130:15	critique 58:2	cycle 108:21,22	day-to-day 7:5
continued 3:3	131:20 150:11	crops 110:2	148:11 149:11	deal 34:7 61:14
104:10,11 131:5	161:20	cross 75:13	150:2,11 153:3	63:2 117:13
contract 9:11 10:21	costs 54:13 101:1	crucial 121:15	157:14	121:19 123:19
10:22 13:4 14:19	113:7 126:21,22	crude 6:19 7:8 13:4		127:12 150:21
14:20 15:4,16,21	127:11,14 133:1	52:8 53:8 54:19	D	156:18 165:17,19
17:6 18:4,11 25:6	157:15	65:4 66:4 116:1,4	daily 17:20 31:9	165:21 166:1
25:13 40:2,6	countries 133:16	116:6,8,9 117:21	DANDEKAR 2:9	170:5
contracting 101:16	country 160:3	118:2,5 119:1	dare 132:6	dealing 128:11
contractor 5:19	couple 10:4 16:2,16	135:11 145:10,21	data 3:5 4:9 27:9	dealt 147:19
contracts 8:6 10:13	19:1 28:8 45:4	crudes 144:15	56:15 57:14 59:13	DEAN 2:10
11:6 18:6 25:9	46:9 53:18,19	crumbs 64:15	59:17,19 61:7,13	debate 137:9
34:2 38:10,11	65:5 66:16 74:6	crunch 44:21	61:17,22 62:14	169:20 176:2
170:22	74:11 126:13	crunching 57:18	65:17 69:13,15,16	December 10:22
contradict 136:8	140:17 142:20	crystals 137:6	69:22 70:2,8,15	11:8 104:4 115:6
contribution	152:4 167:2	currant 180:2	71:4,21,22 72:2,8	decide 23:16,17
144:22	177:19 184:11	current 9:5 16:22	72:9,12,14 75:9	172:7
control 145:12	188:16	20:9 23:2 56:6	77:6,9 78:10,14	decided 74:16 98:1
convened 1:9	course 9:14 11:16	64:11 65:12,16	78:14,18 79:13,14	decides 131:10
conventional 114:6	12:17 15:3 20:13	68:18,21 69:6	79:16,16,18 80:8	decision 56:16 92:1
117:14 130:13	26:19 28:21 50:17	71:9 79:21 81:14	80:12,13 81:1,2,6	110:16 156:3
142:22	52:13 53:9 74:5	88:7,15 90:18	82:11,19 83:12,22	163:6,10 188:1
converged 98:12	77:15 79:5,14	91:2,20 92:2 93:1	89:5,10 93:14,16	decline 6:21
converging 11:10	98:19 100:4	93:3,9,11,12 98:9	93:20,20 102:22	deconstruct 20:3
conversation	102:20 110:2	98:21 110:4 131:9	103:2 107:5	deeper 87:18
146:22 147:11	112:10,11 129:8	142:18 144:17	124:11,12,13,19	default 83:20,21
Cook 104:22	139:9 153:20	155:1,2 157:20	174:3 179:14,17	84:4 90:19 92:2
cool 140:19	156:8	167:8,18 168:1	179:21 180:2,3,7	defend 160:12
coordinate 151:13	cousins 68:10	169:10,12 171:20	190:14	defensive 161:14
coordinating	cover 38:6 152:13	176:2 182:11,12	database 19:14	defer 28:17
158:18	161:5 163:12	currently 118:6	72:6	deficiencies 97:2
Coordinator 4:17	covered 121:10	curve 12:3,14,20	dataset 185:19	define 132:6
Copenhagen 160:5	COX 2:8	13:2 20:19,22	date 15:5,5,7,9	defined 17:5
copy 74:20	co-authorization	21:7,8,14 22:5,10	21:15,16 40:5,6	definitely 49:19
core 104:16 150:22	189:4	23:10 24:4 25:5,8	151:8 179:4	56:9 57:16 106:16
corn 139:5	co-variants 39:3	25:11,12,12,19	dates 104:14	156:17 169:17
corner 64:16	CPI 87:2	35:3 62:6 131:7	158:22 159:1,2,3	188:7
correct 81:22 83:6	create 11:3 12:2,20	curves 25:2,4 26:5	159:11,14,17	definition 9:10
83:14,19 84:1,14	13:9 19:5,6 20:18	27:8 34:22,22	160:12 161:17	64:4 187:20
97:2 116:10,22	26:4,9,16 46:3	125:20,21 129:9	daunting 43:1	definitions 85:14
120:2	105:15	custom 33:5	day 9:3 18:12 62:8	degree 147:2
correctly 83:3	creates 11:21	customers 61:13	89:1 143:8 161:1	delete 31:10,12
112:9 114:2 151:2	creative 35:10	66:22 67:15 74:7	161:5 175:1	deletion 31:14
158:2	credibility 57:5	customize 23:20	days 66:17 106:20	DELEY 2:9

deliberations 82:3	153:16	67:16 72:13 75:16	159:9 161:10	141:8 149:17
deliverable 101:12	details 110:16	77:6 78:11 80:2	178:4	152:3,15 171:1,4
106:9	detect 125:14	80:16,17 87:22	discussant 4:6,7,11	172:22 173:2
delivers 61:12	determinants	109:18 117:12	27:22 28:17	174:9,20 182:20
Delphi 117:5	116:18	118:2 120:16	discussants 154:19	183:5,15 184:13
demand 62:6 116:7	determine 17:14	122:4 128:1,4,9	discussing 7:12	184:16
116:9,10 117:19	190:2	128:17,19 129:13	8:12 52:13 147:8	dollar 66:8 83:4,8
118:4,17,19 119:1	determines 15:13	130:4,12 132:14	discussion 4:8,12	dollars 12:16,16
129:19 132:16,21	Deutsche 11:21	132:18,22 133:2	4:18 7:20 27:21	13:12,14,18 24:10
133:7,12,14 157:7	13:1 19:8 42:10	134:1 137:11	64:3 81:8 89:15	26:14 30:1,1
166:19	42:14	139:4 144:13	120:15 136:14	44:13 56:8 66:5
demanding 45:9,11	develop 52:17	153:17,21 157:15	149:19	79:21 80:15,18
demands 127:4	107:3,13 108:1	171:17 174:7	discussions 146:17	88:7,8 93:1,3,10
density 42:9	developed 52:11	178:9 181:9,19,22	dismiss 134:3	93:21,22 94:10
department 169:2	103:9 104:3,16	186:7	dispensing 113:18	97:19 186:16
178:20	116:16	differentiate	display 34:19 35:11	domestic 98:14
dependent 78:9	developing 16:13	173:17	85:7,11	124:5
depending 34:2	106:4 107:9	differentiated	disposable 68:20	domestically
63:10 71:10	133:15 141:6	134:15	68:21 69:5,8	133:10 144:14
depends 32:10 38:8	development 95:14	differently 71:12	disruption 67:21	Don 155:22
38:21 44:6 50:18	97:18 101:14	77:7 159:9,9	68:1	door 63:14
50:19 138:10	103:8 111:2	difficult 6:22 23:22	distill 131:16	dose 141:22
deploy 132:17	137:10 145:13	31:21 33:7 96:18	distinction 64:6	Dow 28:6
Deputy 2:14	175:21 186:22	122:10 129:10	169:8	download 69:16
derivation 16:10	develops 118:20	162:15	distinguish 83:16	downloaded 70:8
54:8	122:6	difficulty 53:15	distributed 17:19	downstream 135:4
derived 21:1 53:17	deviation 24:16	dilithium 137:6	17:21 20:18	DR 5:3 6:1,5 27:22
deriving 22:12	57:3	dimensional 63:17	distribution 12:2	36:11 45:1 53:18
describe 65:15	device 126:22	dioxide 142:3	12:20 13:2 19:7	58:12 59:9 60:6
103:4 116:14	devoted 171:4	145:12 146:1	20:19,22 21:7,8	60:14,20 61:2,6
131:6	diamonds 137:5	direct 32:14 71:6	24:4 25:3,5,8 26:5	79:10 81:12 83:1
described 143:11	diesel 62:15 65:3	124:6	27:8,14 42:2,6	83:7,11,15,20
describing 121:21	71:1,2 110:11	direction 138:13	47:2,4 113:18	84:2,12,15 85:3
design 31:19 103:7	difference 13:14	176:4	185:20	89:12 90:5 94:12
107:4 138:2 140:5	18:16 73:5 100:2	directions 94:8	distributions 100:9	94:20 95:1,5
143:21 144:7	100:2	137:11	100:10	119:5 120:8 146:2
Designated 2:2	differences 49:9	directly 17:1 136:6	division 101:7	146:5 148:7
designing 64:22	59:4 128:18	director 2:2,15	146:11	158:16,21 161:7
149:4	134:18	101:6 146:11	document 93:15	166:7 177:16
desire 125:3	different 10:8,12	directories 116:15	94:7 155:1	178:6 181:7 184:3
destinations 150:14	12:6,11,22 15:18	directors 89:16	documentation	190:6,9,17,19
detail 9:21 99:12	18:5,13,16,17	101:7 164:17	108:19 140:7	draft 86:14
99:22 100:20	19:1 20:8 22:13	disaggregated	doing 6:12 27:6	dramatically 44:8
102:21 103:20	26:6 33:14,19	111:16,17	41:11 44:10 56:14	drank 41:22
161:11	43:15 47:14,15,19	disconcerting	57:20,20 65:9	draw 72:4
detailed 125:4	48:8 49:4 51:13	119:11	66:19,20 72:14	DRI 175:6,7
126:4 152:13,20	61:17,21 63:9	discuss 7:20 103:5	87:21 137:20	drill 87:19

drink 76:17	effectiveness 188:19	54:19	Enron 42:15	37:8,15 58:21
driven 131:19	effects 31:14	eliminate 39:14	entail 140:9	109:15 110:9,10
driving 126:12 147:21	125:14 127:13	ELIZABETH 3:12	entire 20:18 63:6	113:13 114:6
due 92:11 160:1	134:9 174:8 177:3	else's 48:19 58:8,9	environmental 111:20 113:3	122:9 129:21
dynamic 23:18	177:4	emblem 163:12	134:6 144:9	130:16 131:11
D.C 1:11	efficiency 132:15	EMEU 2:16 3:7 4:5 5:22	environmets 72:15	148:14
E	157:8 166:20	EMF 168:10	equal 18:20 64:8 86:5	examples 67:10 140:12
earlier 28:8 75:12 160:8	186:14	emissions 113:3 140:19	equate 28:21	exceeding 101:1
early 22:15 25:6 85:10 120:6 149:14 172:9	effort 89:20 95:14 120:19 129:6,12 135:16	emphasize 47:3,9	equation 52:16,18 187:15	excellent 146:18
ease 122:8	efforts 53:16 135:17	emphasized 122:20	Employee 66:16	exception 121:10 155:13
easier 26:21 34:8 98:8 126:11,11 159:3 171:19	EIA 1:5 2:1,14 3:3 4:5,10,15,22 27:10 41:20 42:12 45:11 49:16 56:18 61:11 66:15 96:13 100:18 107:12 126:6 135:17 137:1 138:21 143:1 160:19 163:2,10 164:10 164:11 166:11 167:2 177:5 181:12 182:3 187:2 188:20	enable 33:5	equivalent 163:17	exceptions 66:1,2
East 145:11	ended 94:16 105:17	enchilada 151:12	error 29:19 53:16	exchanged 106:7
easy 9:1 74:1 108:6 172:2	endorsements 121:12	encode 59:11,14	errors 52:18	exercise 129:10
econometric 52:16	endorsing 174:20	ended 94:16 105:17	especially 7:4 34:10,20 53:7	exercised 15:6
economic 7:15 68:16 127:12	end-use 168:11	energy 1:4,5 2:15 3:6 4:4 5:15 6:13 7:11 43:9 45:12 45:12 54:18 64:20 70:8,15 71:7 72:5 72:6 75:15 88:20 90:1,11 94:19 97:8 110:1 114:11 116:20 118:7 125:9 128:9 132:6 133:5 157:7 166:19 167:11 169:6,9,10,14,16 171:2,8 174:8,8 174:13 175:9,13 177:3,4 186:13,14 186:15	essentially 41:12 103:14 154:2 180:2 187:17	existing 74:22 75:1 86:3 140:11
economically 128:20	eight 7:8 67:5 91:7 92:4	end-use 168:11	estimate 30:8 31:6 38:2 40:7	expand 92:15
economics 122:11 157:18 178:11	eighth 159:12	energy 1:4,5 2:15 3:6 4:4 5:15 6:13 7:11 43:9 45:12 45:12 54:18 64:20 70:8,15 71:7 72:5 72:6 75:15 88:20 90:1,11 94:19 97:8 110:1 114:11 116:20 118:7 125:9 128:9 132:6 133:5 157:7 166:19 167:11 169:6,9,10,14,16 171:2,8 174:8,8 174:13 175:9,13 177:3,4 186:13,14 186:15	estimates 38:21 40:17 176:11	expanding 40:13 134:2
economist 28:16 85:20	EILEEN 3:5	end-use 168:11	estimation 31:7,20 181:20	expands 34:1 41:9
economists 16:2,6 63:21 69:2 78:16	either 15:1 19:4 20:21 21:5 49:1 58:9 73:13 78:18 94:4 96:16 99:22 110:13 132:11 136:8 157:8 179:15 181:11 184:1,22	energy 1:4,5 2:15 3:6 4:4 5:15 6:13 7:11 43:9 45:12 45:12 54:18 64:20 70:8,15 71:7 72:5 72:6 75:15 88:20 90:1,11 94:19 97:8 110:1 114:11 116:20 118:7 125:9 128:9 132:6 133:5 157:7 166:19 167:11 169:6,9,10,14,16 171:2,8 174:8,8 174:13 175:9,13 177:3,4 186:13,14 186:15	et 57:12 182:15	expect 12:3 38:13 126:15
economy 64:9 67:19 174:13 175:4 176:10	elaborate 125:12	energy-related 176:5	ethanol 112:6,7,16 139:5	expectations 21:20 22:12 23:3,7 82:17 158:4
Ed 4:2,7,22 28:2,17 36:11 56:11 60:6 61:9 159:9 162:4 165:11 184:1	elaboration 136:19	enforced 165:11	et 57:12 182:15	expected 9:7 11:10 11:14,15,18 19:20 45:21 123:3
EDDIE 3:17	electric 61:19 67:11,13 129:20 139:8,10,13 156:13 158:1	engineering 63:13	ethanol 112:6,7,16 139:5	expecting 22:14 82:15
educate 181:16	electricity 2:13	engineers 69:1	evaluate 78:19 148:21 184:6 188:13	expenditure 174:13
educational 63:10		engines 87:17	eventually 40:14	expenditures 169:5 187:16
Edward 1:11,14,19		England 42:10	everybody 48:18 70:9 89:22 128:13 165:4	expenses 161:5
Ed's 119:17		England's 41:10	exact 34:12 73:22	expensive 127:7
effect 100:9 169:6 174:7 176:9 186:7			exactly 10:5 29:16 30:17 32:2 36:2,9 76:3 116:15 125:5 139:6 188:9	experience 41:17
effective 31:18			examined 51:22	experienced 66:14
			example 13:10 21:12 22:15 26:11	experiences 76:15
				expert 59:12,14 88:9 107:3,20 177:6
				experts 56:17 59:19 105:22,22 106:14 152:5

171:10	136:1 148:17	feedstocks 114:1	fit 54:18 165:2	46:13 47:15 52:3
expiration 15:5,9	149:2,13 153:11	129:19 133:20	fits 124:16	52:11,18 53:16
17:5 20:13 40:6	153:13 155:12	feel 8:15 44:13 79:4	five 7:6 45:10 51:4	56:1 64:19
41:2	factors 11:13 15:18	feeling 31:22	67:4,10,22 77:13	forecasting 2:7
explain 45:15	53:10,11	fence 154:8	81:4 91:6 103:17	4:15 24:11 37:7,8
48:20	fair 86:12	FENNELL 2:10	118:2 139:20	37:15 44:10 60:18
explained 48:12	fairly 38:12 114:2,3	fertilizer 142:1	141:11 147:15	146:12 179:14,20
explaining 47:17	178:11	field 112:8	159:11,13,16	forecasts 4:4 6:6
48:16 49:3	fall 4:19 12:15	figure 42:1 81:5	189:10	7:14,21,22 8:10
explanation 23:2	26:20 39:17 109:9	84:5 94:2 110:6	five-page 103:19	14:3 22:8,13,17
49:19	159:1 174:14	111:9 152:11	five-ten 143:7	22:21 24:8 26:20
explicitly 52:9	184:14	154:5 172:14	five-year 37:19	27:11 30:21 31:1
59:16 128:6	falling 13:5,6	188:17	157:2	38:16 41:11 43:4
142:17 153:1	falls 21:5 24:17	figured 123:21	fix 7:1 74:1,16 75:5	48:14 53:3
exploration 187:22	familiar 170:21	151:21	fixed 10:21	foregoing 95:2
explore 135:2,5	familiarize 54:10	figures 83:4,8	flavors 68:21	foresee 171:1
177:14	fantastic 103:1	file 72:11 73:4,17	fleet 178:22	foresight 156:17
exploring 174:19	far 34:4 36:5 51:16	73:19,20,21,22	fleetness 42:22	158:7
exporting 143:7	56:4 86:7 88:15	74:2	flexibility 100:7	forget 120:2 187:10
exposed 157:1	103:9 145:4	finalized 21:16	flexible 171:21	forgetting 154:9
extend 168:2	169:20	finally 114:17	flip 86:13 93:16	form 17:17 43:2
extending 41:16	farm 134:5	financial 8:4 10:2	133:21	103:18 111:4,6,12
extensions 180:21	farther 21:22	11:20 15:11 16:2	flood 148:1	111:13 122:21
181:1	fascinated 16:1	50:12	fluctuation 7:6	152:21
extent 98:13	fashion 90:8	find 7:18 13:14	fluctuations 11:16	formal 53:6 100:15
123:17 127:20	fast 141:21 179:5	64:21 71:3 75:11	focus 18:9,18 89:9	101:4
145:8 147:17	faster 6:21 179:7	77:3,5 98:11	143:14	formality 104:15
179:2	fatter 35:3	118:21 137:21	focused 185:9	formally 52:10
external 117:18	favorite 65:4	154:14 184:17	folks 58:19 88:21	53:13 59:14 97:18
Externalities	feared 113:9	finding 157:6	follow 184:11	format 73:17
109:22	February 25:6,22	findings 6:11	185:3	159:10
extra 123:18	152:1	fine 87:1 178:3	follows 69:19	formats 74:2
extrapolation	federal 2:2 10:5	finish 60:8	follow-up 83:2	formatting 73:4
157:3	19:18 68:11 71:14	first 6:5,20 10:4	food 110:2	formed 16:5
extreme 153:9	77:21 78:2 170:22	14:21 16:18 21:11	fool's 158:10	155:19
extremely 16:8	fedstats 75:13,13	27:5,22 28:3 29:1	foot 42:22 179:1	formerly 42:15
e-mail 36:19	77:1,2	37:1 45:5 78:6,6	footnote 58:15	formula 100:19
106:21	fedstats.gov 70:5,8	80:7 81:10 85:6	67:17 74:9 85:14	formulas 29:1
	70:12	87:17,20 88:4	93:7 94:5	formulate 156:5
F	feed 124:6 129:3,9	117:17 131:16	forced 48:17	formulation 138:1
face 28:5 147:7	feedback 78:5	148:4 159:12	forces 94:1	Forrestal 1:10
fact 16:11 59:18	92:19 104:5	160:15,22 161:1,5	forcing 113:8	FORSYTH 1:15
61:15 66:15 81:2	108:14 109:2	168:9 169:22	forecast 11:17 21:5	59:10,22 60:4
93:19 94:1,8	121:5 147:11	170:6 174:3 175:6	22:4,4 23:2,6 29:5	177:10 181:8
99:17 101:1	186:4	179:22	31:2,11 36:15	forthcoming 173:4
103:18 104:13	feeds 118:6	fiscal 161:2,6	37:2 39:7 41:9	fortunately 19:9,12
110:3,18 123:16	feedstock 134:2,5	Fischer 16:6,12	44:14,16 45:19	74:14 152:4

forum 178:2	114:14,15 117:13	73:18 75:16 112:6	136:2 172:4 176:1	75:14,20 76:1,18
forums 128:9	127:4,20 128:17	113:6 128:13	gives 12:10 14:13	77:1 80:22 82:3
forward 46:9 52:22	130:11 131:17	146:11 184:7	14:17 56:2	86:4 89:17 90:3
58:7 89:18 122:21	132:12,22 133:4,6	gases 141:18	giving 158:18	94:9 95:8,20 96:3
147:9 155:18	133:21 140:14,16	151:17	global 22:18,20	96:8,9,10 97:6,8
forward-looking	141:18 142:16,19	gasoline 28:14	133:9,12 140:15	97:10,16 98:2
9:18	145:21 169:19	54:19 62:15 65:5	150:17 175:6,7,8	100:15 101:3
found 7:10 35:1	170:3 184:16	65:8 70:22 71:1	175:15 177:2	107:2,12 108:6,10
161:13 172:21	full 24:5 60:2 108:1	71:17 86:3,11	globally 133:8	108:11,13 109:3
four 20:8 67:4,22	108:17 114:21	93:3 110:10	go 14:5 21:22 23:16	119:5,8 121:18
91:6 101:7 106:3	143:21 148:11	134:17	29:1 32:10 33:8	127:7 128:4 134:3
139:20 151:6	173:17	gate 113:17	36:5 41:14 42:2	137:9 139:7
157:2,12	fully 33:11 108:8	gauge 9:6 53:15	45:2 46:9 50:10	143:22 145:7,15
fours 63:18	function 16:19 19:7	GEAGLA 2:12	52:20 54:9 55:12	146:8 147:7,9
frame 7:20 80:17	19:19 20:7,9,12	Geisert 2:12 5:18	57:5 60:7,14	148:11,20 149:3
106:10	20:22 42:9	5:18	68:10 70:12 71:1	150:1 167:15,16
framework 97:13	functional 17:17	general 8:12 24:15	75:14 81:3 85:15	168:13 169:16
126:10 129:14	fundamental 14:6	34:6 36:7 51:17	86:7,7 87:18 89:4	171:8 173:10
175:19 182:1	fundamentally	65:20 69:20	93:16 94:6 95:5	174:1,9 176:5,20
186:6 187:1	72:11 156:2	136:13 166:9	95:19,20 96:20	178:18 180:13,14
frameworks	funds 55:21 170:8	181:18	100:20 105:16	185:16 186:11,20
102:17	funny 46:3 164:14	generalizable	109:5 114:4	187:15,22 188:13
frankly 29:15	164:22	150:10 151:3	115:16 137:11	188:14,22
99:10	further 54:3 135:1	generally 8:20	150:1 157:12	Goldman 45:20,20
FRED 2:18,23	future 11:15 14:3	22:16,19	159:10 160:14,21	46:1
free 8:15 79:4	14:15,16,18 15:2	generate 31:20	161:3 167:15	good 5:13 6:9 7:1
150:3	21:20 23:15 27:12	153:22	173:1	43:21 44:21 54:15
FREEDMAN 2:10	29:5,11 30:19	generation 114:13	goal 7:18	57:16 61:10 76:14
FRENCH 2:11	40:12 41:15 55:11	114:14	goals 120:18	80:8,9 89:7 95:9
frequently 8:4	58:6 60:17 64:10	generations 16:3	God 55:12	105:14,14 107:11
fresh 183:17	68:4 145:17 157:5	genesis 45:8	goes 28:14 36:6	107:14 118:11
freshen 150:7	157:20	getting 67:14 72:20	41:12 73:3 75:15	122:17 124:9
freshened 149:21	futures 10:13 11:1	88:18 100:5	79:5	125:6 126:9
Friday 1:8 159:6	11:4,6 18:12,21	104:17,19 128:7	going 5:3 8:2,2	132:17 133:16
fuel 61:20 62:15	19:5 20:10,16,19	137:18 150:11	18:9,9,18 26:8	137:4,16,17 138:6
65:3 66:10 68:4	21:13,14,19 22:5	164:18	28:11,17 30:22	138:6,7,8 139:15
72:5,13 77:14	22:9 24:7,9,19	GIELECKI 2:13	31:2 34:17 38:11	139:18 140:3
95:14 98:20	25:3 26:20 38:11	give 30:7 34:6	39:6,10,13,21	147:15 149:5
109:20 111:15	40:2 52:21 56:6	55:19 93:17 94:16	42:3,3,3 49:3,17	150:7,15 151:5
112:4 113:12	58:20	95:12 114:20	51:16 53:21 54:7	153:16 154:13,14
121:17 127:7		119:8 133:16	54:11 55:6,22	162:20 164:4
129:20 133:2	G	134:14 182:6	56:20,22 57:10,11	182:12 185:13,17
134:2,16 148:6,10	game 72:20 158:10	given 15:20 16:14	58:14 60:7 62:21	187:15
156:15	garden 86:6	18:3 19:6,21 24:4	63:5,20 64:2 66:7	goods 64:8 127:21
fuels 2:13 4:16 68:6	gas 2:15 4:4 5:21	91:1 98:5 101:16	67:6 68:10 70:14	128:4,8
95:7 97:12,14	6:6 28:11,12	106:5 110:9	70:21 71:11,11,22	gotten 95:22
114:10,11,12,13	54:18 61:16 72:9	115:15 123:18	72:21 73:14 75:8	102:17 120:4

147:12 170:4 government 77:21 103:12,13 170:22 GPRA 188:8 grab 88:4 grabbing 72:9 GRACE 3:15 gradations 33:20 graduate 183:8,16 graft 55:22 150:13 grandparents 65:7 grant 164:19 graph 24:21 65:6 65:11,14 73:2 graphic 33:13 34:7 graphical 35:11,16 graphically 24:1 26:22 27:18 graphics 29:21 34:5,16 35:10 graphing 23:9 graphs 65:3,4 gray 24:14 great 42:14 54:2 61:14 63:2 88:19 121:19 145:21 155:3,9 161:11 165:5 greater 99:18 Greek 151:4 greenhouse 141:18 151:16 GREET 149:9,21 gross 117:17 ground 137:3 group 2:2 19:15 45:10 68:5 74:15 82:8 88:19 89:18 90:8 92:11,15 96:13 105:8 114:20 136:21 143:17 151:20 154:18 177:9 185:5 groups 61:20 66:10 72:5,13 77:14 89:9 107:3 140:21	143:14 151:6 152:12 167:2 180:20 183:15 grow 141:21 grows 40:21 growth 133:14 Gruenspecht 2:14 72:7 guess 14:5 16:20 25:14,15 27:9,20 32:20 79:11 93:8 116:18 126:15 137:1,21 138:19 142:16,20 143:1 143:14,18,19 150:16 153:7 156:11 166:9,12 167:13 169:21 184:15 GUEY-LEE 2:14 guy 139:5 guys 8:13 44:12 56:16 105:16 137:6 168:17 170:20 172:8 GWAD 118:18	54:9 139:11 140:12 166:1 169:4 harder 123:7 125:13 hard-wired 153:5 Harvey 2:15 184:4 hat 78:10,14,15 hazard 138:21 head 56:11 76:16 76:19 140:2 headed 96:7 101:11 182:8 heads 70:6 hear 55:10 67:4,5 68:6 92:7 135:8 144:3 159:8 172:17 174:15 heard 70:4 139:17 146:14 181:8 heating 65:3 heavily 7:10 141:22 heavy 89:10 143:2 143:2,3,3,3,4 heck 85:16 152:3 hedging 149:13 held 59:7 help 20:2 35:11 39:6 40:1 42:20 82:19 104:15,16 105:3 136:4 142:6 171:6 helped 5:16 helpful 10:17 91:16 105:3 120:18 174:19 182:3 heterogeneities 125:11 hey 73:1 he'll 184:13 high 96:17 117:6 123:9 171:7 172:14 187:11 higher 25:12 48:21 highest 171:14 highlight 8:2 49:9 highlighting 7:12	highlights 115:15 highly 37:21 Hill 1:15 4:11 79:11 93:4,4,11 hire 165:12 historical 9:1,19 59:13,17,19 historically 57:15 hit 28:4 70:16 hits 87:17,19 88:22 Hmm 74:1 Hodge 2:15 4:4 6:7 6:8 29:16 30:3,9 30:17 31:16 32:2 32:19 33:2,17,21 35:7,14,20 36:2,9 37:9 40:9,22 41:4 41:13,18 42:5 43:3,6,12,17 44:4 44:22 45:3,18 46:11,14 47:5,22 48:20 49:8,15,18 50:6,9,22 51:5,11 52:6 53:7 56:7 57:7,13 59:8,21 60:21 61:4 hold 8:17 holder 14:13,17 15:6 Holderman 167:10 Holte 104:21 home 64:19 homepage 70:14 homogeneous 127:21 honest 111:11 hope 5:11 28:14 101:15 184:20 hopeful 122:5 hoping 7:17 8:7 30:10,16 101:17 156:11 horizon 56:13 167:14 horse 74:15 hour 42:20 hours 79:15	Howard 2:14 3:14 72:7 171:2 html 73:21 huge 72:1 77:10 129:3 human 119:4 hundred 137:10 188:15 hundreds 80:15,18 hurdles 108:16 hurricane 67:22 HUTCHINS 2:17
I				
Iannacchione 1:17 4:6 28:1,2,10,15 29:18 30:4,15,18 31:17 32:3,21 33:3,18,22 35:8 35:17,21 36:3 42:7 43:5 50:3 92:8,10,14 idea 39:9 40:1 56:3 57:16 124:4,9 125:6 126:3 138:14 143:16 147:4 150:15 162:20 180:4 ideal 52:19 ideally 30:21 ideas 107:14 168:3 identified 87:16 115:12 117:22 118:1,1 126:16 131:21 identifies 154:20 identify 5:6,8,9 39:11 40:1 107:14 113:19 149:15 155:5 idiosyncratic 55:17 idle 122:14 IEO 155:7 IER 108:13 ignorance 124:18 ignore 75:20 IHS 175:5,8,8				

illustrate 10:1,3 19:4 24:6,14 26:6 26:22 27:16 32:7 34:1	importation 145:10 imported 144:12 imports 67:20 68:7 impressed 115:9,9 improve 162:7 improvement 131:19 improvements 98:7 improving 144:7 imputations 180:6 incentives 111:21 112:21 include 113:7,22 129:16 134:7 173:7 189:3 included 81:13 112:11 includes 102:8 125:12 including 105:8 109:19 112:6 income 28:14 68:20 68:21 69:6,8 inconsistency 68:9 inconsistent 189:6 incorporate 148:16 incorporated 104:13 107:22 112:4 increase 99:9 188:18 increased 10:15 119:1 127:11 Independence 1:10 independent 78:12 107:3,17,20 index 85:22 86:2,2 86:9 individual 105:6 115:14 130:19 144:8 171:11 individuals 115:1 industry 55:10,13 113:6,10 157:10 175:10 182:22 inflation 78:20 85:22 86:1	influences 174:7 info 73:1 77:13 information 1:5 9:5 12:18 23:17 23:21 26:16 27:11 27:18 32:12 61:15 62:1 63:3 64:17 65:1 68:15,20 71:16 72:2,4 93:17 104:5 105:14,15 106:5,7 143:22 144:1 152:13 154:8,20 155:5 156:8 168:12 181:14 185:20 186:5 informed 161:17 inherent 30:6 initial 104:3 117:6 initially 108:7 initiative 152:11 initiatives 72:8 184:5 input 8:8 inputs 95:21 100:8 101:20 104:7,12 104:12 109:7 116:21 133:9 150:14 insert 22:3 inside 103:12 insight 8:8 22:18 22:20 168:14 171:14 175:6,7,15 177:2 insights 133:17 134:15 150:18 168:17 instances 135:3 institutional 59:6 instructions 93:15 integrate 120:9 integrated 2:6 4:14 98:20 146:12 150:17 integration 72:3 77:9 98:14	intends 82:1 intense 143:14 interact 178:18 interaction 175:4 interactions 175:13 175:14 interest 17:8 66:7 98:5 131:16 181:11,18 interested 82:6 176:3 183:16 184:9 185:15 interesting 10:14 28:4 65:22 73:9 77:18 132:9 135:21 166:10 176:11,17 interests 109:7 130:4 internal 10:7 82:3 internally 30:22 89:15 163:1 177:1 international 53:10 97:8 98:15 109:16 116:19 118:7 124:7 150:19 155:10 interpretation 12:11 55:16 116:22 interpreted 151:1 interrelated 180:12 intersect 62:6 interval 11:3,9 13:10,16 19:5 20:5,7 21:6 24:3 24:15,16,19 26:13 34:1,10 80:3 intervals 19:20 23:10,11 27:7,13 29:14,20 32:6,14 41:1 intervention 98:10 99:2 119:4 interventions 131:1 inter-fuel 127:15 introducing 14:9	intuitive 32:19,22 41:15 invest 110:13 invested 44:13 investing 129:14 investment 122:22 123:1,2,3 129:12 132:15 133:11 134:9 investments 110:7 113:4 123:8 156:15 157:8 Invitation 4:21 invite 106:12 119:22 190:9 involve 118:5 130:6 132:21,22 134:11 involved 53:9 54:6 125:8 134:13 ISRAEL 1:20 issue 36:15 37:1 68:12 99:2,3 105:9 115:3 135:9 135:15 143:1 144:10 146:16 151:15 178:19 181:2,4 186:20 issues 4:13 7:15 73:7,8 74:14 82:2 96:11 102:6 103:15 104:1 107:5 108:16 111:5,7,20 145:18 147:1 162:16 170:19 174:9,17 180:13 186:3 item 115:2 172:7 items 148:15 149:1 184:11 iterative 119:2,3 Izzy 184:22 Izzy's 92:15
J				
jackknife 31:7 39:8 39:22 Jacob 4:10				

Jake 2:5 61:7 94:21	164:20 179:21	163:8,14,22 164:5	153:3,5,10 156:22	lab 189:11
Jake's 89:19	keeping 105:4	164:13 179:13,17	157:1,2,3,4 158:8	label 72:18 73:19
James 1:10 2:4,19	147:4 161:16	180:5 184:4	158:14 159:15	79:2 80:10,20
JANICE 2:22	keeps 171:2 179:18	knew 119:13 152:2	160:18 161:16,20	82:13,15 83:15
January 115:8	Kendell 2:19 6:4,4	159:22	164:21 166:10	labeled 66:13 71:12
Jason 3:21 185:15	key 100:8 103:15	know 7:9 8:14,20	167:5 168:10	80:9 83:5,9,12
jazzed 126:1	103:22 106:9	9:2 12:17 13:4,15	169:7 171:11,18	84:10
JENNINGS 2:17	109:13 113:4	13:22 15:21 16:14	172:1,10,14	labeling 61:7 90:16
Jim 6:3,4	147:6 187:20	17:11 18:4,13	174:19 175:5,19	92:3 93:20
job 66:21 139:18	kick 160:18	19:9,9 23:13	176:6,6,12,18	labels 35:1 75:16
159:3	kilowatt 79:15	26:11 27:9,16	177:19,22 181:17	labor 69:12 71:16
John 1:22 2:8,9	kind 7:1 16:1 28:4	29:4 35:2,4,5,21	182:6,9,11,12,14	158:19
53:20 58:16	30:10,11 31:2,12	37:13 38:12,12	184:1,17 185:7	lack 35:18
115:10 119:19	31:21,22 32:22	40:22 41:4 42:16	186:14 187:14,18	lags 134:10
120:1 122:19	35:5,22 38:13	43:5,5 45:8,11	187:19,22 188:15	laid 126:9
124:3 134:21	40:18 45:7,10,16	46:16 48:15,16,22	188:18 189:1,11	land 110:1 141:3,5
136:7 159:21	46:16 47:6,8,16	49:2 50:15,17	knowledge 120:5	141:21 150:19
167:10 168:5	50:13 51:2 53:6	52:12,17 53:3,10	knowledgeable	151:16,16,21
172:17,19 174:11	54:7,16 55:8,18	53:15 54:12 55:21	66:14 105:22	152:5
177:18 178:17	56:13,15 57:6,18	56:6,21 57:14,19	known 179:2	lands 141:4,4
180:12 183:7	57:19 58:4,4 63:5	58:17,22 75:2	knows 141:2	large 111:1 154:2
188:5 189:6	68:1 84:5 102:5	80:16 83:21 84:3	142:11	larger 127:12
John's 144:10	102:15 107:10	84:4,6 85:2 86:6	Kobi 3:9 5:12,14	129:17 131:18
168:7	116:17 123:8	89:4 90:6 91:15	6:15	135:16 176:10
join 162:9	124:20 128:3	91:16 93:2 94:6	Kokkelenberg 1:19	late 101:2 172:10
JOSEPH 2:18	129:6 133:3 135:7	94:17 96:5 98:11	4:7 28:13 36:11	172:12
jotted 138:15	135:8 136:20	99:11 105:13	36:12 37:10 40:10	latest 24:12
JOUTZ 2:18	137:2,3,18 140:15	106:19 109:5	41:3,8,14,19 43:8	Laughter 28:9 79:7
JOYCE 2:4,19	140:22 141:14	110:22 113:21	43:13,19 44:5	84:22 85:4 87:10
judgment 53:5,9	142:21 143:13,20	117:2,12 120:1	60:11,15 85:5	88:13 115:11
122:11 188:1	144:6,21 148:4	122:18 123:4,13	86:16,19 87:1,6,9	120:11 155:17
judgments 59:12	150:17 151:20	123:15,17 124:10	87:11 90:21 145:6	lays 107:4
59:15	152:19,21 153:8	124:11 125:7,19	162:9 163:3,21	leading 89:20
July 101:17 106:10	154:7 156:12,19	125:20,21,22	164:3 165:10	learn 108:11
108:4	157:1 163:12	126:17 127:21	178:8 179:15,19	119:11
jumped 39:12	164:14,22 166:19	128:12 129:4,7	180:8,22	learned 108:12
jumps 48:7	167:10 181:17	130:11,14 131:3,7	Kydes 2:21 4:14	150:5
June 13:4,5 18:4	182:7,13 186:1,10	132:1,16 133:1,12	95:7,9 115:13	learning 136:13
24:11 101:15	187:21	134:19 135:14,19	116:3,9,13 117:3	lease 37:19 38:5
106:10	kinds 112:21	136:13 137:4,22	117:16 118:13	leave 39:14 63:13
<hr/>	120:17,22 121:1	138:2 139:2,5,6,8	119:7 148:8	LECKEY 2:21
K	138:18 139:14	139:12,16 140:1	149:12 153:11	left 10:10
KATIE 2:18	King 2:20 5:22,22	142:5,8 143:9	154:12 155:2,4,10	left-hand 64:16
keep 20:20 42:2,3	6:15	144:3,16,19	155:18 156:2	legacy 182:10
62:20 64:2 78:7	KIRKENDALL	147:22 148:5	157:21 158:3,8,13	legislation 148:19
78:13 100:5	1:18 88:6,11	149:15 150:19	<hr/>	148:22 168:15
136:22 159:5	161:22 162:2	151:4,5 152:17	L	length 162:13

LENT 2:22	99:3 106:1 113:2	134:1 141:2 150:3	low 14:1 48:16	108:3
leptokurtic 25:16	127:4 132:12	156:13 157:8	75:15 98:19	margin 58:20
lessons 143:13	142:19 169:19	165:11 172:22	109:19 117:6	marginal 141:4
letter 126:9	170:3 184:15	175:16 182:6	148:10	margins 99:4
letters 104:10	liquids 97:11 98:5	189:13,21	lower 11:18 24:18	109:11,14 111:16
let's 13:10 24:2	99:16,16,17 110:9	looked 159:4	32:15 48:12,18	MARINER-VO...
26:3 46:16 63:8	112:5,5,6,6,7,22	160:20 167:3	113:12	2:22
64:13 70:12 79:8	113:16 114:5,6,12	180:15	lumber 63:17	MARK 2:13
81:10 95:16 109:6	114:14 118:17	looking 23:21	lunch 175:3	market 4:16 7:15
140:16 144:14	122:12 127:22	29:22 35:1 40:11	Lynch 42:16	9:5,7,13 14:12
160:21	144:12	40:12 48:5 53:1	Lynn 2:12 5:18	15:12,12,20 17:2
level 13:20,21 14:1	list 70:19 102:10	76:3,4,20 77:2		22:14 23:3 27:12
14:8 15:13 20:14	103:9 104:3,3,14	79:16 80:14 81:10	M	38:9 40:3 42:20
20:21 32:13 33:1	105:18,21 114:21	106:1 122:22	macro 48:17 174:7	43:16 44:11 45:17
33:9 34:2 36:6	115:5 120:16	125:8 150:13	174:8 175:13	49:4 62:7,12
45:21 53:14 71:2	136:2,11 139:21	155:18 175:3,20	macroeconomic	86:10 95:7,15
99:11,18 102:21	139:22 182:7	185:21	22:17,21 53:11	97:7,9 98:15,15
112:8 144:7 167:6	listed 111:22	looks 22:7 77:7	main 34:14 39:3	106:1 111:15
171:7,9,15 172:14	literature 54:22	82:21 116:16	111:3 140:22	112:10 114:18
174:7,8	little 10:19 13:9	147:8 157:4	141:12 149:19	119:9 130:14
levels 13:6,7 14:4	29:22 39:9 48:12	loony 55:15	maintain 98:9	131:18 133:4
17:18 18:3,15	54:21 55:2 70:20	loosen 72:21	154:2 171:19	135:2,4,10 138:18
21:20 26:10 33:5	78:5 85:13 105:5	lose 128:14	maintaining	139:3,14 141:8
33:14 153:17	119:11,14 126:1	losses 127:8	150:21	143:16 156:20
leverage 151:10	130:5 135:1,20	lost 67:12	major 71:18 100:2	marketing 143:13
152:12	140:13 144:13	lot 19:12 34:7	101:12 135:9	markets 2:15 3:6
levers 131:20	156:19 159:4	36:14 43:17 49:19	makers 133:17	4:4 5:15 9:18
LFM 95:16 155:5	182:14	50:14 54:4,6,16	188:2	50:13 73:16
LFMM 95:15	live 67:19	62:1 65:9 69:13	making 125:13	109:10 123:20
liberties 110:21	local 134:16,19	73:7 94:1 100:11	150:22 156:14	134:16 135:6
library 87:13	lock 169:13	102:8 109:11	162:15 163:9	market's 15:22
Lieberman 167:21	log 20:18 22:3	116:20 125:12	178:22	MARY 2:19
lies 40:19	logged 17:19	126:14,17 130:22	manage 55:21	MASON 2:23
life 148:11 149:11	long 38:15 44:1	137:21 142:10	management 3:5	mass 112:7 114:13
150:2,11 153:3	51:20 99:8 108:21	147:18 150:5	100:16,18 107:19	massive 57:9
157:14 180:21,22	108:22 174:6	161:22 162:1	109:2 163:5	material 81:14
lifetime 187:14	176:13	168:14 169:3	manager 66:11,14	85:11
light 144:14	long-run 123:3	170:5,20 171:10	66:21 67:3,7,13	mathematical
limits 37:13	long-term 45:12	174:3 181:8	74:6,9	108:1
line 182:17	look 29:5 34:21	190:15	managing 63:4	mathematics 16:8
lines 24:14 125:19	46:7,21 48:4	lots 93:15 99:13	64:22	16:15 19:11
link 71:6	52:22 53:3,9	100:20,22 107:18	manipulate 130:21	matter 70:16 73:17
linkage 174:13	64:13 66:9 68:10	109:18 111:18	manner 23:22	78:8,12 81:19
linkages 140:7	73:14 75:9 76:2	137:11 153:17	map 59:19 174:21	95:2
links 75:14 133:6	80:4,22 87:22	loud 168:8	March 21:14,15	matters 116:21
liquid 4:16 68:5	123:15 129:21	LOUISE 2:14	22:8 24:10 25:5,9	MAYES 2:23
95:7,14 98:15	130:15 133:20	love 158:20	25:13,21,21 108:2	McCain 167:21

Nancy 1:18 91:12 184:3	168:1 175:14,21 183:9,15 189:17	113:22	45:22 51:5 52:15 98:22 108:9	36:9 38:8 41:19 44:22 46:14 54:1
Nancy's 90:22 91:15	net 144:22	non-U.S 124:11,12	121:15 123:6 125:22 134:7	56:18 59:21 60:14 60:20,21 61:4
narrow 26:17 40:5	Netherlands 77:18	normally 17:19,20 20:18	occupational 138:21	60:20,21 61:4 70:5,9 72:5 78:10
narrower 11:18 12:21 13:19	never 73:12 170:7 171:3	northeast 67:12	occurred 30:20 109:13 112:2	82:21 86:16 87:1 87:6 91:21 92:9
national 69:18 141:4 161:19,21	new 45:6 77:20 95:13 97:2,17	nose 65:8	October 159:11 160:9	92:19 94:11 95:9 96:22 102:3
163:17 169:9,10 169:13,16 171:2,8	98:4,19 100:17	note 14:15 17:15 18:1 22:6 132:5	odd 164:10	105:13 107:1 112:17 116:7,12
natural 54:18 61:16 72:9 73:18	103:16 110:7,9 113:20 114:18	notice 29:13 40:4	offer 26:15 60:13 163:11	117:3 120:10 126:13 149:18
128:13 184:7,19	129:14 137:9 147:1,8 148:17,18	notion 123:2	offering 164:7	155:11 161:2 162:3,8 163:10
nature 121:7 124:10 131:12	149:10 161:2,17 165:16 166:17	nuclear 2:13 180:14,16,18	office 2:6,13,15,15 3:6 4:4,14 5:15,21	171:7 173:6,15,22 178:5,18 180:10
navigational 64:18	169:13 171:1,8 184:5 185:11	number 57:3,18 88:4 97:1 103:20	89:16 97:22 101:5 186:15	181:6
near-term 145:16 175:18	186:19	110:22 111:14 114:3,16 146:22	official 2:2 10:6 offline 60:7 121:19	old 128:12 137:4
neat 56:17 139:9	nice 20:2 68:9 112:17 154:10	153:21 169:11 173:20 184:8	offs 125:22	OLOGS 169:22
necessarily 21:3 93:6 135:22	night 28:5	173:20 184:8 189:17	offsetting 41:5	OMB 78:2
necessary 98:10 101:22 149:16	nine 67:5	numbers 58:11 83:17,17,17 87:22	Off-mic 159:18 167:19	OMB's 77:16
need 49:19 55:11 67:5 68:7 72:12	ninth 159:12	106:22 117:11 152:9	oh 35:20 45:3 47:14 48:7 50:6 55:12	once 67:14 72:19 72:19,22 73:11
78:9,19 100:6 102:4,6,7,9	nitrogen 141:22	numerically 23:12 26:6	61:2 85:18 86:16 89:3 92:9 120:8	74:9 84:4 101:8,8 107:20 108:9,12
118:21 128:18 130:14 138:12	nitrous 142:1	NYMEX 8:6 19:16 21:1,1,19 22:5,9	120:10 163:3 164:5	108:15 146:8
149:17,21 172:13 181:16 182:14	Nobel 16:13	22:14 23:3,6 24:7 24:19 27:8,12	OIAF 2:7,12 3:11 3:12 96:13	ones 38:4 68:14 73:9 109:13 112:2
needed 97:3 104:15	nodding 70:6	29:2 47:1,11,15 47:19 48:9,13	oil 2:15 4:4 5:21 6:6,19 7:8 13:4	145:15 155:15 178:16
needs 97:22 106:6 123:18 149:15	nominal 4:9 61:7 63:7,9,14,19,21	49:9 52:21 55:19 58:4	52:8 53:8 54:19 55:12 65:3,4 66:4	178:16
negative 140:19	64:5 65:13,18,20 66:13 67:1,15,18		113:5 116:1,5,6,8 116:9,15 117:21	one-month 44:6 one-off 189:21
negotiations 160:2	68:17 69:1,14,17 69:21 71:21 73:2	objective 78:1	118:10,14,15,21 118:21 122:12	online 46:17 60:15 60:16
negotiators 140:22	73:11,20 74:1,3 79:22 80:2,2 81:6	objectives 145:9	135:12 137:4 139:3,4 142:21,22	ons 184:20
neither 152:2	81:17 82:19 83:8 83:9,12,13,15,22	obligation 14:15	143:3,4 144:13 145:10,22 146:11	OOG 2:11,23 3:22
NEM 97:17 166:11 167:15	84:9,9,10,18,18 85:8,15 88:12,12	observations 39:17 40:21 121:6	OIT 2:9	op 189:3
NEMS 97:9 108:7 108:18 116:15	88:17 90:12,13,13 90:20 91:2,5,10	147:10	okay 5:3 6:8 24:2 31:16 35:7,20	OPEC 119:1
118:8 137:8 139:12 140:7	91:14,20 93:22 94:9	observe 17:2		open 4:2 94:16 136:9
144:17 154:21 155:1,7 167:6	nonlinear 102:18	observing 147:10		operation 37:17 opinion 125:1 128:22 149:20
	non-conventionals 142:19	obtain 19:17		opinions 52:12 opportunities 137:7
	non-petroleum	obvious 126:17		
		obviously 11:7 14:1 20:8 23:13 33:12		
		O		

opportunity 88:20 137:2,14 146:18 156:4	126:14 150:15 173:12	Pardon 163:21	peak 142:21	phase 104:17 140:5 140:6
opposed 9:19 90:17 141:12 144:7	output-based 131:2	parenthesis 92:21 93:1	peaked 25:14	phenomenon 133:4
opposite 48:21	outside 39:17 90:1 94:18 103:11	parenthetically 94:4	peaks 160:4	Phil 104:21 187:3
optimal 136:21	104:8 135:13	park 141:4 167:4	penetration 186:22	Phillip 3:18 185:6 185:14
optimization 102:16	157:13 177:12 178:1,2	part 10:16 45:14	people 8:20 36:3 38:16 49:17 54:11	phrase 132:7
option 9:15 14:13 14:13,17 15:2,6 15:14,19,20 16:21 17:4,13 18:4,19 154:13	overall 121:5 128:16 130:10,18 132:12	part 97:17 101:13 108:7 116:18 121:4 124:18 135:16 149:16 150:22 153:10 168:10 173:3 182:5 185:22 186:4	55:3,14 58:3 63:15 76:22 88:4 89:9,20 90:16 92:17 104:7 117:10 120:19 137:16,18 141:1,5 142:5,11 156:14 156:22 157:7,11 159:6 164:21 165:16 168:18 178:2 179:8	physical 15:11 50:13
options 8:6 9:11,13 10:21 11:5 14:7,9 14:11,19 15:11,16 16:1,5 18:6,10 25:9 27:12 58:5 132:18 153:12,14	overarches 63:6	partial 102:10	percent 7:7,8 12:15 13:12,16,20,21 24:14 26:12 29:14 32:17 33:15,15 46:6 51:9 62:16 62:19 137:22 138:1	pick 44:11 53:20 70:14 91:15 106:3 160:12
order 5:4 113:18	overarching 78:1	PARTICIPANT 92:20 93:13 118:9 118:14	percentage 9:3	picked 44:9 68:13 73:8 110:3
ordinal 80:3	overhead 129:18 142:9	participants 9:8	perfect 142:2	picture 34:7 48:5
ordinal-type 35:6	overlay 141:17	particular 31:6 97:4 99:20 113:8 113:11 115:2 117:8 126:2	performed 52:16 53:2	piece 179:14,14,18 179:20,21,21
organization 101:13 104:8,8	overseas 144:20	particularly 48:11 54:15 98:18 113:5 113:20 121:16 122:19 134:21 137:1 138:3 158:16 172:1	performs 51:22	pieces 122:7 182:13
organizations 19:12	overview 95:13,20	particulate 113:1	period 37:6 38:14 43:7 64:10 87:3,4	pilot 108:4
organized 119:18	ownership 189:9	parties 14:22	periods 39:11 40:14	place 15:7 37:16 98:4 99:14 107:11 147:20 148:2,2
organizing 104:19	oxide 142:1	partly 136:17 166:16	permitting 134:10	places 15:20 92:20
original 115:5	O'BRIEN 3:5	path 7:1 64:19 143:10 156:18	person 55:11 84:21	plan 68:3 77:11 166:11 182:4
originality 102:15	<hr/> P <hr/>	PATRICIA 2:17	personal 69:5,5,8 94:3 155:14 166:12	planning 143:7 162:16
ought 161:12	paces 108:8	pattern 69:20	personally 26:15 166:12	plants 38:17 142:16 156:15 180:19
outcomes 187:16	package 173:8 186:12 189:18	PAUL 2:9	personnel 171:4	platform 103:3
outdistance 44:14	packages 173:1	PAULA 2:23	person's 149:20	platforms 171:17
outlined 36:21 89:10	pad 125:5	pay 28:12 64:15 72:18 171:21	pessimistic 22:21	Platt 3:9 5:14,14 6:15
outlook 6:13 7:2,12 43:9 45:16,17 46:2 52:10 64:20	page 23:18 49:14 63:8 64:19 65:2,5 69:9 75:16 85:12 86:13 87:20 93:5 93:7	PDF 32:6 35:13,16 73:19,20	petroleum 42:15 61:16 64:20 68:5 72:9 86:20 97:7 110:8 114:5 130:13 184:6	play 119:14
outlooks 45:12,13 46:4	pages 71:2 77:6 87:14 93:17	PDFs 33:4,6 34:17 34:21		played 72:20
outnumber 69:2	paid 65:7			players 40:3 42:20
outperform 51:18	panacea 146:1			playing 112:8
output 100:10 129:1	panel 162:12,15			please 5:7 106:14 106:14 120:9 183:22
outputs 110:8,9 121:7 125:21	panels 161:19,21			plenty 67:9
	paper 28:6 74:21 154:17			plot 11:1 24:3
	papers 106:3 186:2			plus 6:21 30:2 125:22 153:15
	parallel 154:22			point 9:16 29:7 30:5 32:5 37:2
	parameter 17:10			
	parameters 121:21 125:14 130:21 173:21 174:2			

38:2 40:7,11,17 43:14,15 48:14 51:2 52:7 59:10 62:7 70:21 78:17 79:1 86:22 90:22 96:1 97:1 103:2 104:11 111:3 113:5 115:20 118:1 122:19 124:19 129:17 135:9 141:8 147:15 149:8,19 150:9 153:2 164:22 166:3 176:17 pointed 134:8 145:19 164:18 pointing 45:19 points 138:3 147:7 153:9 172:18 poked 36:14 policies 98:18 111:21 112:12 127:10 131:3 132:11,13 148:15 157:16 178:10 policy 109:16,17,19 111:19 113:8,11 125:15 131:1,20 132:18 133:4,17 134:1 146:20 147:21 policymakers 136:5 poll 81:8 90:8 94:13 pollutant 131:14 popped 143:15 popping 72:22 popular 62:11 63:1 popularity 62:3 posed 187:18 position 188:3 positions 38:10 possible 18:5 19:1 21:20 23:14 26:1 50:10 98:13	107:15 130:3 135:14 141:13 172:6,7 187:13,20 possibly 21:9 24:22 80:11 110:11 124:7 150:12 potential 112:20 129:18 141:11 159:3,11 potentially 147:2 154:13 power 38:17 61:19 64:1,9,11 66:9 67:12,14 69:10 135:2,4 180:19 practice 18:15 55:6 65:16,20 71:9 75:9 90:19 92:2 practices 65:12 pragmatic 166:22 precious 137:3 precise 37:2 precisely 38:12 preconceived 76:15 82:10 predict 29:10 preface 80:7 prefer 50:15 60:13 88:7 90:12,16,21 93:9,11 94:3 159:7 preference 91:4 preferences 120:17 132:14 159:16 preliminary 143:21 prelude 119:12 premium 9:13 15:14,19 16:21 preparing 119:13 prescription 152:10 present 1:13 2:1 3:3 6:10,22 23:11 27:17 108:13 181:13 186:6 presentation 8:1,18 50:14 61:12 63:6	119:12 184:13 presented 78:22 105:12 186:3 presenting 12:9 49:11 180:1 182:5 presents 13:1 President 57:11 presiding 1:12 pressure 180:13 PRESTON 2:24 presumably 122:17 123:20 127:9 128:2 134:14 135:13 153:16 pretend 16:9 pretty 12:8,14,17 14:1 22:8 24:18 31:17 36:20 64:18 65:20 70:19 79:15 101:10 109:14 126:15 129:10,12 140:3 141:22 147:20 169:3 179:18 182:11,12 prevent 148:1 pre-World 80:13 price 4:4,9 6:6 7:1 7:8,13,21,22 11:1 11:4,16 12:15 13:17 14:3,4,21 14:22 15:15 16:22 17:4,18 18:3,7,11 18:12,20,21 19:20 20:9,16,19 21:14 21:20 22:4,4,5,7,9 22:13 23:2,5,6,10 24:7,7,9,11,20 25:3 26:20 37:11 37:13 39:12 53:8 56:6 58:6 59:4 61:7,13,15,17,21 62:3,10,13,15,22 64:17 65:1,14,17 66:8,12 68:2 69:13,13,15,21 71:4,16,20 73:11 78:18 79:13 82:11	82:18 86:1,3,4,9 90:11 93:20 116:10,15 117:8 118:14,15 134:18 139:12 148:6 171:21 prices 6:19,21 7:6 7:10 8:22 9:3 11:10,14,19 12:3 12:12,22 13:5,6,7 13:11,13 18:15,17 19:6 20:11,17 21:1,14,19 23:8 23:15 25:8 26:7 26:13 28:11 52:8 55:12,12 64:21 65:19 66:6,13 67:1,11 70:3,22 71:1,5,17,21 73:2 73:20 85:8,9,18 86:11,20 90:13 99:4,4 109:10,14 111:15 113:2 116:6 117:18 118:10,21 139:4 178:12 pricing 9:15 12:6 131:3 134:11,16 135:12 primarily 97:12 110:2 primo 156:18 principle 77:11 prior 31:1 86:13 priorities 96:20 97:21 106:6 prioritization 105:9 prioritizations 96:14,16 101:21 prioritize 96:12 105:17 prioritized 95:22 96:12 104:14 105:18 priority 111:14 136:2	priors 60:3 Prize 16:13 probabilities 12:12 13:3 26:7,18 59:20 probability 12:2,19 13:2,11,13,16 19:7 20:19,21 21:7,8 24:4 25:3,5 25:7 26:5 27:7,14 42:1,5,9 46:6 probably 23:18 26:21 27:15 33:15 34:6 35:15 36:17 52:19 85:21 117:14 137:5 140:1 142:7,10 145:15 148:17 155:12 156:22 159:6 160:10,12 163:10,11 165:7 167:17 183:2 186:1 problem 42:13 44:15,21 45:20 57:9 67:6,7 74:17 75:6 77:10,10 84:3 87:12 136:14 154:1 155:20 162:21 189:16 problems 40:1 87:15 88:1 141:10 procedures 156:11 proceed 143:10 process 96:6 98:2 100:14,16,19 101:4 103:7,8 104:15 105:4,21 106:16,17 107:19 108:12 119:2,3 125:4 149:14 162:7 processes 99:13 procurement 170:19 produce 97:11 108:4 117:8
--	---	--	---	---

118:22 121:1 produced 119:19 119:20 144:14,20 producer 78:15 79:1 producer's 86:9 produces 142:1 product 71:11 102:21 110:8 111:17 117:19 125:21,22 130:18 139:6 production 72:15 113:16 114:12 116:1,4 122:12 127:11 186:8 products 54:18 72:4 73:1 77:13 99:3 113:20 123:15 130:13 profiles 72:6 profoundly 121:18 Program 186:15 programs 188:9,19 190:14 progress 54:4 186:19 project 6:15,18 74:6,9 96:2,5 97:17 100:15,18 101:4,6,13 103:11 107:19 109:1 projecting 139:4 projection 55:18 projections 40:18 142:18 151:17 projects 45:21 139:9 prominent 142:18 prominently 85:7 properties 54:17 propose 41:20 42:12 proposed 74:22 83:3 provide 110:15 119:17 152:12	161:14 186:1 provided 103:19 110:19 144:1 178:16 providing 168:17 prune 139:19 pseudo 153:22 pub 67:8 public 4:21 174:13 179:10 190:9,11 publication 66:3,12 84:8,11 publish 23:17 published 179:3 pulled 138:20 pulling 72:12 pulse 88:21 purchase 15:1 purchasing 15:16 64:1,9,11 66:9 69:9 purely 27:8 83:12 purportedly 58:19 purpose 139:3 purposes 18:8 64:3 124:16 126:8 push 54:3 113:11 138:12 pushing 105:3 put 14:16 22:3 55:14 85:9 92:16 92:21,22 97:12 99:7 108:8 111:12 115:5 135:22 136:1 140:16,21 189:18 putting 36:6 58:7 121:21 168:18 171:15 P-R-O-C-E-E-D-... 5:1 p.m 190:22	quasi-IPPC 151:15 query 23:19 question 29:2 34:4 39:9,13,22 41:20 48:10 49:6,17,22 50:1 51:15 67:4 70:10 78:7,8,12 80:7 81:13,19,22 83:2 84:20 85:6 86:8 90:10 92:16 103:15,18,22 117:1 123:12 124:1 132:2 135:1 138:5,10 146:6 156:4 157:18 158:11 180:17 186:18 187:17 questionable 43:20 questionnaire 90:7 questionnaires 157:10 questions 4:14 8:14 8:15 27:3,21 36:18 44:18 45:2 49:12 51:3 67:14 74:8,10 78:4,6 79:3 94:13 96:11 102:4,7,9 103:15 103:21 104:1 109:9 111:5,7 115:21 121:2 127:17 132:10 133:18 138:11 145:16 146:3 168:7 178:15 179:9 180:14 181:9 queue 169:19,22 quick 58:15 70:13 90:6 95:19 108:5 126:13 quickly 87:16 120:1 quite 38:19 79:12 97:20 165:3 Q&A 134:22	R	89:4 93:21 94:9 126:1 136:14 137:3 180:6 184:8 realign 82:16 realistic 114:17 realities 123:19 really 6:22 16:1 27:10 29:3 30:7 33:9 36:14 38:9 38:20 39:12 44:19 45:15 46:7,20,22 47:3,11,18 48:7 48:13 51:16 56:16 60:18 64:2 76:4 95:15 98:1 99:14 100:6 105:15 109:4 110:4,6 117:7,22 125:6 126:3 129:11 132:3 134:17 139:5 140:4 141:2 142:18 144:5 152:2,6,17,20 155:19 160:6 164:6 165:2 170:4 170:7,10,12,15,16 171:3 172:13 178:12 183:1 188:20 reason 6:10,17 34:18 85:6 149:13 164:4 reasonable 118:22 121:20 152:8 reasonably 52:17 reasons 65:5 126:6 150:2 receive 186:16 receiving 170:8 recipes 134:16 recognize 47:10 recommend 107:7 recommendation 124:21 recommendations 158:14 185:2 reconstruct 57:14
--	---	---	----------	---

reconvene 95:6	regular 137:12 186:17	repackaging 72:16	reside 153:5	revision 81:22
record 66:8 95:3	regulate 58:19	repeatedly 114:16	resolve 81:18 82:1	revisit 99:19
recurrent 111:19 112:20	regulation 131:8	repetitively 42:17	respect 92:11	131:10
recursive 123:1	reinforcement 136:18	replace 97:7,8	respond 78:8 90:10 92:17 179:6	re-labeled 74:7
red 12:7 25:4,19	reiterate 190:12	replaces 122:4	responded 92:4 158:2	re-labeling 4:9 66:20
redo 122:16 149:8 149:9	related 73:7,8 74:13 98:18 115:3	replication 31:5	responding 78:13	rich 185:19
reduce 110:21	182:20 186:12	report 10:6 11:21 95:13 174:10,16 184:6 188:21	response 45:14 119:9 133:11	rid 164:18
reduced 152:21	relates 54:15 187:16	reported 65:17,19	138:4 146:4 148:8 158:18 179:7	right 14:14,17 22:19 29:1 32:18 34:15 37:4 38:7,7 41:3 43:16,21 45:13 51:3 62:22 66:21 69:3 71:1 74:3 75:3,3,5 77:4 79:12 82:4 83:10 86:7,17 87:2,5,11 90:5 92:13,22 99:21 106:9 109:1 116:2,13 118:12 138:15 140:15 143:3 154:12 162:10 163:13 166:4,17 167:7 176:8,15 179:19 180:4 189:5
reductions 169:6	relationship 50:12 116:10	reports 8:5 107:4 137:12,12,12	190:8,18	rise 6:19
reevaluate 99:11	relationships 127:14 130:22	represent 10:3 21:3 110:4 114:2 116:1 116:4 128:5	responses 102:14 115:8	rising 133:12
refer 73:5	relative 122:8 133:1	representation 108:10 110:5 114:18 118:6 173:8	responsibility 152:15	risk 9:12
reference 65:17 80:17 173:5,20	release 61:14,16 64:17 68:14,19 70:2 71:17,19 72:2	representations 147:20	responsible 56:19 57:9	risk-free 17:8
references 117:6	released 72:15	representative 92:12 103:10	responsive 179:1	road 145:5 150:1
referencing 65:13	releases 69:13 71:16 82:21	represented 112:9 127:16	rest 87:7,9 118:8 154:21 155:7	Robert 16:12
referring 64:6	releasing 61:21 65:1 69:5,14,21	request 104:4 113:14 119:17 126:8 173:4,10	restrict 132:12	rode 74:16
refers 63:22 110:1 129:7	relevance 131:5	requests 104:10 120:17	result 188:22	Ron 182:17
refine 140:1	relevant 128:11 179:8 183:3 189:11	require 121:18 148:11 165:4,16	results 78:22 123:16 149:21	Ron's 161:13 166:4
refined 130:13	reliably 104:2	required 75:6 115:22 116:4 154:20 171:5	resumed 95:4	room 1:10 35:15 36:4 82:9
refineries 38:17 110:11,12 135:7 141:18 142:14,14 153:18 156:15	relieve 152:14	requirements 58:21 102:22	retail 62:14,15 66:13 71:3,17,21 73:20	rough 36:19 56:2
refinery 99:13 100:1 113:17 118:5 152:21 153:16	rely 29:9 59:12 68:3	request 104:4 113:14 119:17 126:8 173:4,10	retails 90:14	roughly 115:16
refining 125:4 130:15,19,20 131:12	remain 121:17 161:12	require 121:18 148:11 165:4,16	retained 128:19	round 149:10 151:15 172:22 173:3,11
refining 125:4 130:15,19,20 131:12	remarks 161:13 166:4	requests 104:10 120:17	rethink 144:6	run 38:16 44:1,1 118:16 133:7,10 135:5 143:20 153:19 170:18 176:13,13 189:2
reflect 59:16 133:22	remember 66:4 110:20 137:8 184:21	require 121:18 148:11 165:4,16	rethinking 169:17	
reflects 124:17	RENEE 2:25	required 75:6 115:22 116:4 154:20 171:5	retire 28:7 110:15	
refreshed 144:10	Renewable 186:15	requirements 58:21 102:22	return 17:20	
regard 54:21 97:22 98:7 101:10 148:12 154:15	rental 37:16	requires 155:6	returns 123:3	
regarding 6:12 27:3	rentals 37:22	research 6:11 187:16	revenue 70:2	
regardless 68:4 75:10	repackage 72:17	resembles 76:19	Reverse 42:4	
region 111:17		reservation 134:4	review 4:17 71:7 75:15 96:1 101:4 105:12 107:18	
regions 118:2		Reserve 10:5 19:18	reviewers 107:21	
Regrettably 85:3			reviews 100:21 107:12,18	
			revised 74:22 81:15 81:15	

running 46:16 129:15	second 32:5 37:5 37:12,17 41:12	selection 106:17	139:22	silliness 154:5
runs 167:6	55:4 65:11 71:7	sell 14:17 15:2	shaded 51:13	similar 12:8 23:19
S	78:11 84:10 85:16	Senators 45:10	shades 33:20	60:17 91:15 139:4
Sachs 45:20,21	159:12 160:15,22	51:4 178:16	shading 47:9	similarly 20:15
46:2	Secondly 55:5	send 47:5 104:10	shale 122:12	simple 8:14 23:22
safe 51:11,12	seconds 147:15	106:15 115:19	shape 25:11,14	64:3 102:11 118:4
sales 37:21 38:7	Secretary 190:5	SENDICH 3:12	share 45:7 121:4	125:20 130:7
70:2 93:2	section 53:20 67:8	sending 154:18	130:12 131:18	146:19 147:5,20
sample 31:19	154:19	senior 163:5	176:4	156:14 157:9
sampler 182:22	sector 156:13 158:1	sense 41:16 51:4	SHAWNA 3:19	simplistic 156:16
sands 143:2 144:12	177:4,5	80:2 81:19 100:17	shocking 178:12	simply 10:10 88:3
148:13	sectors 167:3	109:1 162:19	short 32:8 43:6	111:12 125:13
satellite 97:10	171:11	174:10 177:21	44:1 45:11 56:12	145:6
147:19	security 109:22	188:7	135:5 176:13	simulate 186:7
save 80:21 81:4	132:6 133:5	sensible 84:17,21	shortly 68:6	simulates 156:6
saw 119:19,21	see 6:9 7:5 10:8,15	132:9	short-term 6:13	simulation 102:20
saying 32:9 47:13	11:7 12:5,13	sensitivity 121:15	7:2,11 43:9 64:20	single 10:21 152:16
48:2 56:18 60:17	13:10 16:15,18	sent 104:4 115:8	show 21:5,11 22:4	singling 66:3
171:7 180:9 189:6	20:3,6 21:18,21	sentence 60:12	24:5,21,22 25:2	sit 122:14
says 73:20 85:14,18	23:13 24:2,13,13	separate 124:15	26:1,19 56:20	sitting 30:1
86:3 87:3 188:15	24:17 25:10,18	126:3	65:6,12,17 70:7	situ 122:13
188:21	26:3 28:20 29:10	separation 105:15	70:13 74:2 90:4	SITZER 3:13
scale 33:17,19 35:6	31:10,13 48:1	sequestration	90:15 105:18	six 7:3,4 45:8 67:5
scenario 138:6	51:22 57:15 63:7	140:18	114:7 120:18	91:6 139:20,22
141:1 189:2,19	65:3 66:7 67:1,21	series 39:1,2 40:15	130:10	141:11
scenarios 46:4	68:8,21 69:16	61:18,22 65:14	showed 120:16	size 124:16
187:12,21	70:6,7 72:21	69:13 180:3	showing 50:16	skew 12:7
Schaal 3:11 146:10	82:15 85:15 86:14	serious 124:20	65:18 71:20	slate 130:18
146:10	88:5 89:11 90:12	serve 102:5	shown 67:18	slew 113:21
schedule 96:8	90:15 91:5 93:7	service 69:19	shows 13:3 23:7	small 141:21
100:21	94:3,8 111:14,22	161:15,18 173:4	25:4,7 62:13	153:22
scheduled 160:7	114:8 118:16	173:10 174:10,16	128:15	smaller 105:11
schemes 28:18	120:7 126:4,11	services 64:8	side 37:18 127:6	smart 46:7 111:8
Scholes 16:6 43:15	136:7 144:21	servicing 145:14	128:11 130:10	SMG 2:3,5,9,22,24
55:3	164:13 166:15	session 6:5 60:8	132:13,16 133:7	3:15,18 4:10
scientific 63:12	170:12 174:12	61:6 95:6 179:22	133:21 149:19	snap 122:7
SCOTT 3:13	175:20 177:20,22	180:10	152:2 153:15	snapped 122:15
se 117:7	seeing 183:16	set 20:13 23:18	157:7 166:19	131:13
sea 39:7	seek 89:4	33:12 55:2 87:14	sighting 134:10	snide 137:18 138:4
seal 163:15	seeking 88:2	105:11 111:7	sigma 17:11,14	soak 62:16
seamless 98:14	segment 80:20	130:4,19 157:16	28:22	society 69:2 145:9
search 87:16	111:16	178:12 187:13	sign 37:18	socioeconomic
seasonal 37:21	segmentation	189:13	signed 6:2	151:14
123:20	138:18 139:15	setting 32:22 33:9	significant 128:20	solicit 92:19
seasonality 123:12	141:9 143:16	175:22	129:12	solicited 165:16
	selecting 117:5	settlement 15:7	significantly 47:19	solid 122:11
		seven 67:5 91:6	48:8	solution 89:22

98:12	specialized 82:8	29:19 57:2 58:5	71:16 74:14 77:18	strike 14:21 17:4
solve 17:13 67:6	specific 14:19	74:21 75:1,7	77:19,20 90:11	18:3,6,11,15,17
solved 67:7	15:13 18:6 58:16	81:14,15,15 82:1	184:6	18:20
solving 57:9	98:6 112:15 125:9	83:3 98:20 109:20	status 95:13,20	strikes 125:6
somebody 38:9	140:12 141:14	148:10 181:12	167:14	strong 113:14,15
39:15 58:8,9	151:4 188:9	standardization	stay 164:4	126:6
143:6 149:9	specifically 7:21	72:12 75:8	STEO 4:4 6:6,14	strongly 165:22
154:11,14 157:3	16:20 25:4 45:19	standards 74:19	8:10 21:4,5,17	struck 146:22
163:16	specification 72:11	77:16,17 110:10	22:3,12 23:5,19	structure 102:5,15
someplace 93:5	108:2	131:2,10 132:15	24:7,12,17 26:20	148:17,18 167:8
somewhat 60:16	specifics 181:21	134:19	27:10 29:2 31:1	169:17
119:18	spend 94:1 190:15	standing 40:11	46:17,22 48:12,14	structures 16:16
sophisticated 64:4	spending 80:14	stands 108:5	49:10,14 51:16,19	107:6 131:20
82:8	spent 169:2 176:7	182:13	51:21 52:3,5,10	struggle 169:7
sorry 25:22 61:2,3	190:14	start 5:5 8:11 14:6	52:10 53:4 157:3	student 183:8
92:21 159:19	spike 66:6,8	14:8 54:12 60:2	157:4 182:5,8,10	students 37:22
sort 8:11 9:6,14	spiked 67:11	95:8 98:2 107:11	182:13	183:16
12:10 23:5,18	spikes 68:2	131:17 137:15	step 55:4 107:22	studies 180:19
24:5 41:6 45:9	spill 101:17	138:16 151:5,5	143:19	study 187:17
46:21 47:2,13	spite 170:6	170:8 171:16	Stephanie 2:2	stuff 46:4 52:14
48:4,11,15,16	spokesman 136:20	172:12,13 175:20	89:14 91:9 165:12	53:12 138:3
49:2,2 52:22 53:1	sponsor 101:6,8	started 138:11,17	177:11	141:21 151:18
89:19 99:17	spot 73:11	138:17	steps 107:1 123:13	166:22 167:7,16
111:11 122:14	spread 24:5 25:15	starting 108:17	Steve 1:14 2:15	182:10
127:3 130:1 132:9	25:19 58:5 96:19	138:15 170:1	45:1 54:16,20	stumped 70:9
134:3 147:22	96:19	176:17	119:20,22 123:11	subject 70:16 78:8
164:10 171:7	spreadsheet 114:22	starving 141:5	124:3 134:8 136:7	78:12 146:7
172:22 174:22	185:1	state 72:5,6,8	145:18 150:3	submissions 151:16
182:4 189:21	spreadsheets 19:17	stated 114:16	162:10 166:3	submit 70:17
sorts 109:17 112:5	Spring 4:22	statement 85:7	167:9 184:4,12	subsequently 104:6
sounded 166:5	squeeze 98:1	118:10	Steve's 145:7	subsidies 167:7
sounds 181:19	SRA 2:8	States 175:10	still-large 130:4	168:15
source 34:14 114:5	staff 2:1 3:3 61:11	stationary 39:1,2	stimulus 166:22	substantial 8:16
150:18	89:16	55:9	168:18 169:1	substantially 91:14
sources 71:6	stage 109:4	statistical 1:1 13:22	173:1,8 179:2	substitute 142:2
129:19 145:20	stakeholder 95:21	25:16 68:11 74:18	186:12	145:22
150:14 155:6	96:11 101:20	74:21 75:7 77:15	stochastic 54:17	suggested 47:8
span 44:2,3,6	102:1 109:7	77:16 82:1 181:1	stock 156:20	115:1 164:9 178:6
speak 77:19 78:3	120:17	statistically 47:14	169:13	184:22 190:6
168:8	stakeholders 4:13	47:18 48:8	stockholder 55:21	suggesting 189:20
speakers 177:12	96:14 102:14	statistician 28:16	stocks 129:3,10	suggestion 32:4
speaking 63:22	103:10 104:9	28:20	STONE 3:14	88:16 89:6,8 90:1
130:7 143:16	105:7 106:5 115:6	statisticians 31:5	stop 164:9	92:16 149:6
speaks 73:13 77:19	126:16	31:18	story 65:22 128:13	155:22 172:20
77:21 81:16	STAN 2:10	statistics 1:4 2:2	strategy 136:21	177:17
special 74:18	stand 190:19	40:20 52:4 62:4	stressed 113:6	suggestions 4:19
137:12	standard 24:16	62:10,22 69:12,19	stretch 182:21	100:5 105:7 106:2

106:13 109:9	surplus 127:8	133:12 162:5	131:7	22:6 30:20 39:4
110:19,20 111:4	survey 31:18 62:15	167:2 177:8,11	telephone 106:21	40:15 43:10,14
112:15 115:14	138:11 180:7	183:4 184:18	tell 17:16 46:18	44:2 47:12 48:6
146:14 155:12	surveys 62:14,19	talked 143:6	78:5 79:17 80:11	48:17 56:10 57:18
158:22	Susan 104:21	164:16 174:6	81:1,3 155:22	59:5 64:12 85:16
suggests 157:15	SUTHERLAND	177:10 182:18	189:12	88:2 100:4 105:19
suite 60:18 132:17	3:15	184:5	ten 7:6 42:19 62:16	109:5 115:4
135:17	swamping 148:2	talking 13:20 14:6	62:19 63:1 71:19	122:17 126:19
sulfur 113:1	synfuels 99:16,22	38:15 43:4 64:5	103:17	134:20 136:22
summaries 104:19	synthesis 119:18	69:7,9 71:8 73:15	tend 79:20 123:15	138:15 143:14,21
summarize 183:14	system 23:19 97:4	76:21 98:7 123:7	125:18	151:11 157:11
summary 4:13	97:6 98:4,21	141:17 142:13	tendency 88:4	182:2 184:20
95:21 136:18	113:9 128:16	148:12 168:16	tension 147:7	190:13
summer 66:4 103:6	151:1 169:10,12	178:17 179:13	tentatively 160:21	things 44:7,7,9
super-spike 46:4	171:15,20	181:11 185:15	ten-year 44:2	56:13 59:3 63:10
super-spiked 46:2	systematically 94:6	188:13 190:16	term 45:12 73:10	80:12 85:12 98:16
supplement 34:13	systems 150:11	talks 181:9 185:1	79:19 90:12	100:12 103:3
supplies 112:4	171:18	tank 128:15	terminology 88:10	108:11 119:20
supply 53:11 62:6	S.W 1:10	tap 32:18	terms 8:19 14:9,20	120:22 126:17
64:7 67:21 68:1		tar 143:2 144:12	15:4 17:6 25:16	129:5,13 130:7
116:11 117:21	T	148:12	39:2 66:9 96:19	131:6 136:3
118:4 121:22	table 12:22 13:8	targeted 89:9	109:8 111:10	138:18 139:14
125:11,20 127:5,6	23:12,20 26:4,21	tariff 112:16	117:5,12 130:8	141:15 142:12
127:13 129:9	26:22 73:18,22	tax 111:21,21	143:21,22 146:20	150:20 154:17
130:10,22 131:6	83:7,11 84:10	112:21 132:14,15	148:6 168:11,14	166:13,15,18
132:13 135:12	85:10 103:4	taxes 112:20	175:4,12 177:4	167:12 174:19
185:9	tables 27:19 34:5	teach 37:14,14 54:5	182:8	178:13,18 179:1
support 103:1	34:11 35:9,13	team 3:6 104:16,22	terrible 85:17	182:17 183:2
162:11,12	66:12 72:22 84:7	tech 189:3	161:15	187:12
supposed 46:19	tact 186:19	technical 36:5	test 108:8 153:19	think 5:12 7:7,7
supposedly 160:6	take 10:20 62:19	63:15 101:14	testing 108:18	8:20,21 10:6
sure 8:18 10:5	64:13 73:14 87:17	103:5 104:18	text 46:18 47:17	16:11 25:17 29:3
30:19 44:9 45:3	91:11 97:10	105:21 106:4,14	67:17 81:13	29:7,13 30:15,21
46:11 47:20 64:3	101:20 106:15	153:13 154:18	thank 6:8 28:2	32:8,10 34:5,11
78:16 99:21 100:6	107:12 114:22	186:19 187:12	60:20 61:9 89:22	35:17 38:3 39:1
100:21,22 112:3	118:15 136:20	technique 31:18	94:20 105:1 115:9	40:22 41:5 42:14
112:15 113:6,16	143:12 144:17	technological 99:12	119:10 147:13	45:7,14,18,19
114:1,7 120:10	146:18 150:3	technologies 97:14	158:17 190:20	46:19 47:22 51:8
126:4 127:15,18	151:11 153:7,8	114:19 121:17	thanks 36:10 60:22	52:18 54:2,14,19
135:22 136:1	177:16 179:5	189:17	61:4 94:22	55:5,20 56:7,11
145:14 152:7	189:9	technology 98:16	theme 111:19	56:11 57:4 59:5
154:3 160:19	taken 110:21	109:11 122:13	themes 112:20	69:1 70:5 72:7
165:9 169:6	134:22	131:12 134:13	theoretically 18:14	81:1 82:14 88:3
170:20 183:19	takes 15:7 43:1	140:17 148:6	theory 56:16	89:8,21 90:22
185:14 186:14	127:3 172:6	167:11 186:13,21	thermal 128:1	92:20 93:18 96:9
surface 12:8	take-away 47:16	187:11 189:1	they'd 177:21	99:5 103:9 108:6
surfaces 152:22	talk 96:4,10 128:22	technology-based	thing 17:15 20:20	108:12 109:4,13

111:10 114:3	THOMAS 3:17	timed 41:2	touched 152:19	118:11,18 123:1
115:6 117:10	thought 41:22	times 42:19 67:4	174:22	132:13 162:6
118:22 119:7	44:20 45:6 49:10	78:17 111:18,22	tough 110:6 135:21	166:7 168:1,6
120:15 121:8,9,13	97:3 98:3 99:10	114:4,16 144:4	174:20	170:21 189:15
121:14,19,20	102:13 106:16	169:4 180:16	town 37:18	trying 6:12 7:14
122:2 123:7 125:2	124:2,20 135:19	TINA 2:5	toxics 131:10	9:4 32:11 36:15
126:2,9,19,20	140:13 141:15	title 80:4 90:12	trace 132:18	50:20 53:15 55:20
128:18,21 129:3	149:8 151:19	92:22 93:2,6 94:5	track 10:11 166:14	69:10 78:2 81:5
129:11 131:2	160:11 173:9	titles 67:8 74:7	traction 135:15	89:17,20 93:8
133:17 134:22	three 10:12 57:1	today 5:12 8:7	trade 15:8 98:19	94:2 105:21
136:5 137:2,6,13	87:17 91:6 97:1	63:21 65:9 98:5	125:17,22 134:17	108:22 110:6
137:19,19 138:12	97:20 104:22	146:14 147:12	150:19	113:11 125:15
139:1,14 140:1,6	121:5 139:20,21	161:11 169:15	traded 14:12 15:12	129:9 132:11
140:12 141:8,9,10	149:1 157:2,12,12	175:20	trading 15:12 21:2	150:1 151:12,13
141:12 142:4	166:15 168:4	Today's 61:11	traditionally 23:1	180:1
143:10 144:5	172:6	told 67:9 71:15	traffic 62:16 63:4	Tseng 3:18 104:21
146:16 147:6,9,14	Three-quarters	TOM 2:21	64:22 77:1	185:18 187:4,7
148:16,19 149:5	190:13	Toman 1:21 4:17	trajectories 176:14	188:3
149:16,20,22	throwing 154:8	119:8,10 120:10	trajectory 117:8	turbine 116:6
150:5,9,10,16	Thursday 159:5	120:12 147:14	118:15	turn 27:20 58:11
151:7 153:12	Thursday/Friday	149:7,18 158:19	transaction 54:13	79:9 129:21 134:4
154:13 155:11,13	159:17	159:21 161:1,4	transactions 58:18	136:6
156:21 158:1,11	tie 130:18	172:17 173:6,9,15	58:20	turned 102:18
161:14 162:10,20	tied 151:6	173:18,22 174:5	translates 13:15	turns 80:1,15
162:20,22 163:1,8	tight 101:10	176:1,9 187:3,5,9	transparency	tux 37:16,16,21,22
164:5,6 166:3	tightened 149:22	188:11 189:5,8	99:10	tuxedo 37:16
167:1 171:5,13	time 9:1 10:12 11:2	190:1,4	transparent 111:11	twist 95:15
172:9,11,13 175:8	11:11 14:14 17:5	tomorrow 63:1	126:10	two 10:8 11:13 12:6
175:17 176:1	20:12 29:13 30:12	120:13	transport 97:11	14:11,20 16:5,20
177:1,5,15,20	37:6 38:14,22	tool 74:18 75:3,5	114:15	17:3 25:2 27:19
179:17 180:15	39:2,11 40:15	top 115:15 136:1,2	transportation	43:1 50:16 57:1
182:2,21 183:1,1	43:7,21 48:14	140:2	113:17 185:10,12	60:12 62:14,18
183:7,15 184:7,19	53:19 55:10 56:13	topic 28:4 89:15	185:22 186:5,8	63:18 71:2 77:12
185:5,8 186:12,22	56:21 57:2 58:10	161:9 177:17	travel 161:5,15	79:3 84:7 87:17
188:6 189:12,15	58:11 60:10 64:10	179:11 180:10	Treasury 17:9	88:14 91:6 97:19
189:22	67:21 77:7 79:20	topics 158:22 161:7	tree 151:6	100:3 101:9 107:3
thinking 37:17	83:4 94:2 99:11	166:8 178:7 190:7	trend 157:2	124:7,16 145:9,15
42:8 58:9 66:18	105:5 106:10	Topics/Dates 4:19	tried 55:13 58:3	184:5 186:2 189:1
81:9 120:19,21	110:6 115:17	torque 132:13	143:18	189:9
122:18 142:6	118:11,12 120:15	total 118:17	truckload 63:17,18	two-and-a-half
148:3 167:12	123:13 136:14,16	totally 19:22 39:7	true 30:9 33:21	62:17 88:22
170:6 171:16	136:21 144:3	43:15 55:17	57:7 59:8 188:11	two-thirds 56:21
172:8,12 183:21	150:7 164:16,16	166:13 174:21	truly 115:9	57:1
third 34:4 41:21	172:4 174:6 180:2	177:7 179:3	trunk 128:14	Tyler 2:15 4:4 5:17
167:9	180:7 181:3,9	touch 161:14	trusty 159:4	6:7 36:13,19
thirsty 75:19,20,21	182:5 185:7,7	163:18 164:1	try 45:15 98:1	type 15:10 70:20
76:7	186:3 190:10,15	166:5 169:3	102:3 103:4	109:15 175:18

187:13 types 14:11 16:20 73:15 102:4 109:19 118:2,5 125:9 130:12 133:2 typically 79:17 80:22 81:1,3 168:12	undertake 96:5 unexpected 133:14 unfamiliar 14:10 unfortunately 19:22 29:12 96:15 unique 62:4,5 82:7 137:13 unit 130:19 United 175:10 units 130:20 university 87:13 unrealistic 158:6 unspoken 111:7 unstable 145:11 unusual 7:5 upcoming 170:2 update 60:2 98:8 151:10 154:9,10 173:5,19,20 174:2 184:16 updating 169:11 upper 32:16 64:16 ups 184:11 upscale 36:5 Urban 86:2 use 2:16 3:7 4:5 5:16 9:5 10:2,7 11:22 19:2 20:15 31:6,19 37:15 39:22 48:18 54:11 58:2,4 65:19 68:17,17 69:14,15 69:20 79:20 80:1 80:12 87:2 92:3 92:21 93:12,12 95:17 98:9 102:19 106:16 108:19 112:22 126:11 132:12 139:11 150:17,20 151:16 151:16,22 152:5 154:15 167:22 169:6 171:19 172:2 175:5,11 180:5 useful 30:4 45:7 56:12 136:4	166:12 181:3 usefulness 65:11 user 23:20 64:21 71:5,10 78:10,14 84:3 86:7 92:14 93:13 users 34:20 74:10 82:19 87:16 88:21 89:5,5,10 181:14 181:16 uses 114:9 141:12 181:12 usual 98:16 usually 11:17 17:9 22:11 49:8 135:11 utility 156:13 utilization 180:18 U.S 97:15 109:20 124:13 139:2 142:6 143:8 177:5	153:9 vehicle 128:11 vehicles 128:14 version 139:2 168:1 versus 51:22 63:18 91:10,10,17 110:2 114:12,14 117:13 139:7 161:20 view 51:2 82:11 85:2 115:18 122:10 131:4 135:19 137:1 165:1 viewing 48:1 90:11 views 101:21 102:1 Vince 28:1 36:21 184:22 Vincent 1:17 4:6 47:8 vintage 110:5 violating 134:18 virtually 151:21 virtue 122:3 126:4 visits 62:18 visual 12:11 vis-p-vis 71:14 voice 77:19 78:3 voices 77:22 volatile 29:13 volatilities 18:12 18:17 19:15 volatility 7:10 8:6 8:10,13,19,21 9:2 9:9,11,17,20,22 10:9,11,15 11:5 11:11 12:1,10 14:8 17:12,14 18:2,10 19:3,11 20:10,16 21:13 25:11 28:21 30:6 30:11 31:14 36:16 37:20 38:1,13,18 38:22 40:3 41:2 41:11 volume 128:2 votes 88:15	W wait 50:6 71:7 86:19 wake 63:1 wall 72:21 walls 148:1 Walter 1:15 4:11 79:10 93:4 want 22:10 24:21 26:17 27:1 29:5 30:21 34:21 36:8 36:12 37:13 38:11 38:12 47:21 49:5 49:21,22 50:2 51:7,9 55:1 57:22 60:4 64:14 66:9 70:6,13 72:10 74:3 78:5 85:1 89:8 93:6,18 94:13 95:12 98:8 98:10,13 99:9,9 99:19 105:1,2 109:8 112:7 115:4 115:16 119:16 120:22 121:2,4 123:21 126:18 127:11 132:3,16 136:8 145:3,4 146:6,8,20 154:10 160:15 161:9,10 163:18 165:11 166:13 175:19 183:4,20 188:6,20 189:20 wanted 26:12 112:3 112:10,12,13 140:22 154:16 183:13 wanting 126:21 wants 34:12 38:6 139:6 War 80:13 warn 22:10 warrants 129:11 Washington 1:11 wasn't 71:7 76:4 142:17 165:17
U ultimately 40:8 136:4 171:21 188:1 unanimity 102:12 uncertain 121:18 uncertainties 125:10 133:22 147:19 181:17 uncertainty 6:13 7:13,16,19,22 8:3 9:7,12,18 10:3,18 10:20 11:15 14:2 19:4 20:10 21:4,9 21:21 23:8 24:6 25:1,20 26:2 27:4 27:11,16,18 29:17 32:7 40:4,7,19 42:21 45:15 55:20 56:1,15,19 57:10 58:1 59:15,18 100:7,8 121:14 138:7 147:3 148:1 181:10,13,13 unconventional 117:13 uncover 19:18 underline 146:15 underlying 16:22 72:2 77:11 underscore 145:7 understand 16:9 20:1 33:7 42:20 117:9 127:3 172:20 180:9 understanding 35:19	U ultimately 40:8 136:4 171:21 188:1 unanimity 102:12 uncertain 121:18 uncertainties 125:10 133:22 147:19 181:17 uncertainty 6:13 7:13,16,19,22 8:3 9:7,12,18 10:3,18 10:20 11:15 14:2 19:4 20:10 21:4,9 21:21 23:8 24:6 25:1,20 26:2 27:4 27:11,16,18 29:17 32:7 40:4,7,19 42:21 45:15 55:20 56:1,15,19 57:10 58:1 59:15,18 100:7,8 121:14 138:7 147:3 148:1 181:10,13,13 unconventional 117:13 uncover 19:18 underline 146:15 underlying 16:22 72:2 77:11 underscore 145:7 understand 16:9 20:1 33:7 42:20 117:9 127:3 172:20 180:9 understanding 35:19	V vagaries 101:16 valid 53:2 valuable 37:6 137:4,13 183:6 value 15:13,19 17:11 32:14 37:3 63:15 values 15:22 19:13 23:14 59:15 65:18 67:18 variability 91:2 variable 17:10 variables 15:18 16:19,21 17:1,3 20:8 52:9,14 variance 28:21 31:6,7 35:3,4 37:4 37:6 40:21 55:7 variances 31:21 variety 15:18 86:7 various 23:14 26:7 26:18 104:7 106:8 131:20 145:20 vary 37:11 vectors 152:22	W wait 50:6 71:7 86:19 wake 63:1 wall 72:21 walls 148:1 Walter 1:15 4:11 79:10 93:4 want 22:10 24:21 26:17 27:1 29:5 30:21 34:21 36:8 36:12 37:13 38:11 38:12 47:21 49:5 49:21,22 50:2 51:7,9 55:1 57:22 60:4 64:14 66:9 70:6,13 72:10 74:3 78:5 85:1 89:8 93:6,18 94:13 95:12 98:8 98:10,13 99:9,9 99:19 105:1,2 109:8 112:7 115:4 115:16 119:16 120:22 121:2,4 123:21 126:18 127:11 132:3,16 136:8 145:3,4 146:6,8,20 154:10 160:15 161:9,10 163:18 165:11 166:13 175:19 183:4,20 188:6,20 189:20 wanted 26:12 112:3 112:10,12,13 140:22 154:16 183:13 wanting 126:21 wants 34:12 38:6 139:6 War 80:13 warn 22:10 warrants 129:11 Washington 1:11 wasn't 71:7 76:4 142:17 165:17	

water 110:1	153:21	149:3,4 150:1	54:17,20 79:13	101:16 152:1
WAUGH 3:19	went 50:13 66:4	151:13 152:6	99:5 107:21	156:20 160:5
Waxman 148:22	95:3	157:6 168:13	121:19 123:18	161:2,6 178:11
way 7:18 8:9,12 9:8	WEPS 118:16	169:3 170:1 172:8	124:14 125:7	181:4 185:21
10:17,19 12:10	Weyant 1:22 54:1	173:16 174:1	126:5 127:5 152:7	years 38:17,18
24:22 26:1 27:15	56:5,9 57:8,17	182:7	154:3 156:20	39:16 43:2 55:14
34:18 35:12 42:4	58:14 60:1 116:14	we've 6:12,17 7:10	158:17 162:6,14	57:1 59:1 63:2
48:1 49:1 50:10	117:9 119:19	7:14 10:4 19:14	177:19 182:14,19	65:7,10 67:10
52:19 55:19 56:5	136:12 150:8	19:16 22:22 53:1	182:20 185:11,16	77:12 97:20
56:14 62:11 73:13	154:7,22 155:3,9	77:12 88:14 95:22	189:10	103:17 133:13
74:4 75:10 80:9	155:15,21 156:10	95:22 99:4,5	workable 89:21	135:20 144:6
82:20 84:12,15	157:22 158:5,10	101:9 103:8,9	worked 78:18	157:4,12 162:11
92:19 102:13	160:4,10,17 165:8	105:20 107:21	working 6:14,18	179:22 180:17
109:4 119:4	165:20 166:9	108:9,12,15 109:1	75:2 106:20 132:1	189:1,9,10
121:12 128:20	167:20 168:16,20	110:21 133:3	152:6 183:8,17,22	yesterday 5:6,9 7:7
130:21 133:11	169:18 172:5	147:11 152:5	works 44:3 124:11	119:20 175:2
137:18,20 141:20	174:12 176:16,20	170:18 174:6	127:4	177:12 182:18
156:12,14,16	177:7,13 180:21	185:3	workshop 50:11	188:10 190:13
168:22 174:6	183:10,19 185:4	whack 72:19	101:14,19 104:18	yield 68:2
179:12 185:8	Weyant's 172:19	whale 139:3	106:11 107:2	yields 75:3
ways 10:1,8 53:3	we'll 14:8 45:2	white 74:15 106:3	153:13 184:17	
74:11 87:22	53:19 68:6 95:5	154:17	world 55:8 56:20	Z
120:20 132:14	106:3 107:16,16	wholesale 73:15	57:10 141:6	Zealand 77:20
136:18 153:21	107:17 108:16	90:13	WORRALL 3:21	zero 54:12
165:4 178:9 179:6	112:18 119:14	wide 12:17 21:19	worry 19:10 74:12	ZHANG 3:22
wear 78:14	148:17 149:17	29:20 30:13,13,16	138:19	
wearing 78:9	154:19 159:8,10	37:7	worst 38:7	1
web 23:18 72:16	160:18 173:19,20	widely 8:3	worth 37:1 123:10	1st 115:8
77:6 85:12 87:14	184:18,21 185:21	wider 21:22,22	138:1 139:7	10 38:18 97:19
92:17	190:9	willing 157:17	worthwhile 124:15	144:6
website 34:20 36:7	we're 5:3 7:17 8:2	withdrawing 58:13	wouldn't 44:13	10:38 95:3
49:16 50:5 61:18	8:2,7 9:4 13:20	woefully 166:5	47:2 50:3 140:19	10:57 95:4
61:22 62:17,18	18:8,9,18 22:16	won 16:12 66:15	163:22 166:13	100 12:14,16 86:5
67:2 70:5,15 71:2	27:6,6 30:10,16	wonder 31:4 92:15	183:21	1000 1:10
71:20 75:11 77:7	31:2 32:16,17	wonderful 88:7	wrap 27:1	110 117:2
88:22	43:3 48:17 49:10	wondering 51:20	write 90:7 106:3	119 4:16
week 31:11 62:8	53:18 58:7 60:9	52:2 76:10 181:10	writeup 103:19	12 97:19
88:20 106:19	61:1,20 63:20	181:15	wrong 109:4,5	12:26 190:22
119:21 170:9	64:22,22 69:7,8,9	WOOD 3:20	120:3 158:4	136 4:18
weeks 31:9 101:9	69:10 72:21 73:14	word 63:7,9 65:20	WTI 52:8,16 53:8	140 66:5
177:20	81:9 82:6 89:17	68:17,17 69:14,17		15 144:6 151:19
WEFA 175:7	95:20 96:6,8,9,10	69:20 80:1 82:19	X	15th 159:12
weigh 124:3	97:16 100:14,15	90:19 91:5,9,10	xls 73:22	16 151:19
welcome 95:10	101:3,11 107:2	91:14,16 114:3		16th 159:12
welfare 127:10	108:10,11,13,22	words 17:19 95:18	Y	16,000 61:17
Welker 157:17	111:8 116:3 123:7	work 5:15 6:11	yanked 160:2	190 4:19
well-known 16:5	123:8 141:4 147:7	35:13 36:14 39:4	year 6:20 38:2 44:5	1970s 16:7
			62:9 66:16 93:22	1990 79:16

1997 16:14	6			
2	6 4:4			
20 30:2 38:17 55:14 71:18 106:2	6th 21:14,15 24:10 25:9			
20,000 61:21	60 13:14,17			
20-year 44:2	61 4:9			
200 117:2	63 13:16,21			
2000 93:21,22	67 13:20 24:14 29:14 32:17 33:15			
2002 77:17	7			
2007 6:20 10:16	70 26:14 105:6,10 105:10 110:22 117:2 141:12			
2008 10:16,22 11:8 43:20 44:8 86:4	70-plus 114:21			
2009 1:8 4:19,22 13:4 79:16 159:1	79 4:11			
2010 22:1 37:8,11	8			
202.14 81:14	8E-089 1:10			
2030 167:15	8,000 28:6			
2050 167:17	80 13:11,17			
22nd 159:13	800 176:4 186:16			
23rd 159:13	81 4:12			
25 12:16 106:2	9			
250,000 87:19	9:00 1:9			
28 4:6	9:04 5:2			
29th 159:13	90 65:7,9			
3	94 13:12			
3 1:8	95 4:15 32:16 33:15 51:9			
30 18:5 26:14 115:16	98 26:12			
30th 115:7 159:13	99 26:12 138:1			
30-day 17:9				
30-year 156:17 158:6				
31st 115:7				
36 4:7				
4				
40 18:5 24:10				
41 4:8				
45 110:22				
45.52 24:9				
5				
5 4:2				
50 30:1 56:10 111:1				
50-year 158:7				
52 56:7				